

STATE OF VERMONT  
PUBLIC SERVICE BOARD

RULE 5.700

IN RE: WIND GENERATION FACILITY SOUND  
RULEMAKING

May 4, 2017  
9:30 a.m.

---

112 State Street  
Montpelier, Vermont

Workshop held before the Vermont Public Service Board, at the Susan M. Hudson Conference Room, People's United Bank Building, 112 State Street, Montpelier, Vermont, on May 4, 2017, beginning at 9:30 a.m.

P R E S E N T

BOARD MEMBERS: James Volz, Chairman  
Margaret Cheney  
Sarah Hofmann

STAFF: John Cotter, Staff Attorney  
Kevin Fink, Policy Analyst  
Thomas Knauer, Utilities Analyst

CAPITOL COURT REPORTERS, INC.  
P.O. BOX 329  
BURLINGTON, VERMONT 05402-0329  
(802) 863-6067  
EMAIL: [info@capitolcourtreporters.com](mailto:info@capitolcourtreporters.com)

P R E S E N T A T I O N S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

	<u>Page</u>
Sarah Wolfe - VPIRG	9
Stephen Ambrose - Vermonters for a Clean Environment	26
Olivia Campbell-Anderson - Renewable Energy Vermont	57
Dr. Howard R. Quin and Jason Day Star Wind Turbines	94
Eddie Duncan - Resource Systems Group	132
Payam Ashtiani - Vt. Department of Public Service	190
Les Blomberg - Paul Brouha	216

P R E S E N T

1  
2 David Grass, Vt. Department of Health  
3 Aaron Kisicki, DPS  
4 Ben Edgerly-Walsh, VPIRG  
5 Austin Davis, REV  
6 Annette Smith, Vermonters for a Clean Environment  
7 Dorothy Schnure, Green Mountain Power  
8 Sash Lewis, Dunkiel Saunders  
9 Greg Pierce  
10 Paula Kane  
11 Sally Collopy  
12 Paula Pearsall  
13 Bill Kaplan  
14 Dustin Lang  
15 Christine Lang  
16 Elizabeth Cooper  
17 Penny Dubie  
18 John Brabant, Vermonters for a Clean Environment  
19 Lynnette Combs  
20 Hal Cohen, DPS  
21 Howard Weiss-Tisman, VPR  
22  
23  
24  
25

1                   CHAIRMAN VOLZ: Okay. We are ready to  
2 start. Good morning everyone. We are here this  
3 morning for a workshop as part of the Board's  
4 rulemaking process regarding sound from wind-powered  
5 electric generation facilities pursuant to Section  
6 12a of Act 174.

7                   The purpose of this workshop is to  
8 discuss the technical aspects of the Board's proposed  
9 rule on sound levels from wind generation facilities.  
10 We have received six requests to present at the  
11 workshop, and based on those requests we have set out  
12 a schedule. I think all of you got a copy of that  
13 earlier. There are presentations from Vermont Public  
14 Interest Research Group, Vermonters for a Clean  
15 Environment, Renewable Energy Vermont, Star Wind  
16 Turbines. Then we will take a lunch break, and then  
17 we will resume with Resource Systems Group, the  
18 Department of Public Service. We also got a late  
19 request from Les Blomberg to present on behalf of  
20 Paul Brouha, and we will allow him to do that if  
21 there is time. We are going to try to hold everybody  
22 to the time. We are going to hold everybody to the  
23 time that was allotted to them. So be sure you keep  
24 that in mind as you're going through your  
25 presentation.

1 Vermont Public Interest Research Group  
2 has 20 minutes. Vermonters for a Clean Environment  
3 has 40 minutes. Renewable Energy Vermont has 20  
4 minutes. Star Wind Turbines has 35 minutes. We are  
5 going to take a one-hour lunch break, and then  
6 Resource Systems group has 60 minutes, and the  
7 Department of Public Service has 30 minutes. And  
8 then Mr. Blomberg, if there is time will go, and I  
9 don't know off the top of my head how much time you  
10 asked for.

11 MR. BLOMBERG: 15 to 20.

12 CHAIRMAN VOLZ: 15 to 20 minutes. So  
13 that's the plan for the today. I would like to  
14 remind everybody final written comments on the  
15 proposed rule will be filed by May 11, and the target  
16 date for making the filing with the Secretary of  
17 State and the legislative committee is May 16. So we  
18 have -- we have got a pretty aggressive schedule to  
19 deal with.

20 So with that, I would like everybody in  
21 the room to identify themselves. I'll start on my  
22 left here with the Department.

23 MR. KISICKI: Aaron Kisicki on behalf  
24 of the Department of Public Service. I'll be joined  
25 later in the day by Payam Ashtiani of Aercoustics

1 Engineering Limited. Mr. Ashtiani will be attending  
2 telephonically. I appreciate the Board's willingness  
3 to allow him to do that.

4 CHAIRMAN VOLZ: I think the phone line  
5 is open now for -- we got requests for people to call  
6 in and listen in. There may be people on the phone  
7 from the public who are listening.

8 MR. GRASS: David Grass, Vermont  
9 Department of Health.

10 MR. DAVIS: Austin Davis, Renewable  
11 Energy Vermont.

12 MR. QUIN: Howard Quin, sound  
13 consultant representing Star Wind Turbines.

14 MR. DAY: Jason Day, Star Wind  
15 Turbines.

16 MS. SCHNURE: Dottie Schnure, Green  
17 Mountain Power.

18 MR. DUNCAN: Eddie Duncan, RSG.

19 MR. LEWIS: Sash Lewis from Dunkiel  
20 Saunders.

21 MR. PIERCE: Greg Pierce, private  
22 citizen.

23 MS. KANE: Paula Kane, private citizen.

24 MS. COLLOPY: Sally Collopy, private  
25 citizen.

1 MS. PEARSALL: Paula Pearsall, private  
2 citizen.

3 MR. KAPLAN: Bill Kaplan, Fundamental  
4 Energy.

5 MR. LANG: Dustin Lang, resident of  
6 Swanton, Vermont.

7 MS. COOPER: Elizabeth Cooper with  
8 Vermonters for a Clean Environment.

9 MS. LANG: Christine Lang, private  
10 citizen.

11 MR. BRABANT: John Brabant, Vermonters  
12 for a Clean Environment.

13 MS. DUBIE: Penny Dubie, private  
14 citizen.

15 MS. COMBS: Lynnette Combs, private  
16 citizen.

17 MR. COHEN: Hal Cohen, Department of  
18 Public Service.

19 MR. WEISS-TISMAN: Howard Weiss-Tisman.  
20 Vermont Public Radio.

21 CHAIRMAN VOLZ: Okay. Back to the  
22 table.

23 MS. CAMPBELL ANDERSON: Olivia Campbell  
24 Anderson, REV.

25 MR. BLOMBERG: Les Blomberg for Paul

1 Brouha.

2 MS. SMITH: Annette Smith, Vermonters  
3 for a Clean Environment. We are sponsoring --

4 MR. AMBROSE: Steve Ambrose, private --  
5 consulting acoustics, and dealing with wind turbines  
6 for many years.

7 MR. EDGERLY WALSH: Ben Edgerly Walsh  
8 with VPIRG.

9 MS. WOLFE: Sarah Wolfe with VPIRG.

10 CHAIRMAN VOLZ: We are going to send  
11 around a sign-up sheet so the court reporter can get  
12 the spellings of the people who attended and are  
13 speaking.

14 One thing I forgot to mention, after  
15 each presentation there will be 15 minutes for  
16 questions from people -- everybody in the room.  
17 Yeah. And then just so people know who we are, Kevin  
18 Fink is a staff member. Sarah Hofmann is a Board  
19 member. Jim Volz, that's my name, I'm the chair.  
20 Margaret Cheney is a Board member. John Cotter is a  
21 staff member. And Tom Knauer is a staff member.

22 MS. HOFMANN: You guys is the -- are  
23 the mics live?

24 MR. KNAUER: No.

25 CHAIRMAN VOLZ: Do we need them?



1 MS. HOFMANN: There are people on the  
2 phone, so if people could speak up when they are  
3 speaking. We will see if we can turn on the mic so  
4 whoever is presenting will use the mic.

5 CHAIRMAN VOLZ: Okay. I think we are  
6 ready. So are there any other preliminary matters we  
7 need to discuss before we start with the  
8 presentations? If anyone -- is anyone on the phone  
9 right now? I'm only asking so that we know whether  
10 we need to worry about being able to hear.

11 (No response)

12 CHAIRMAN VOLZ: I guess we are okay for  
13 now. When you use the mic, you have to push the  
14 button to turn it on. And when you're done speaking,  
15 you should turn it off, because if too many mics are  
16 on, the system doesn't work right. You need to speak  
17 clearly into the microphone right in front of your  
18 mouth. Otherwise it doesn't work.

19 So I guess we are ready to hear from  
20 VPIRG.

21 MS. WOLFE: Thank you very much. Again  
22 my name is Sarah Wolfe. I'm the clean energy  
23 advocate at VPIRG. I'm joined today with Ben Edgerly  
24 Walsh, the climate and energy program director at  
25 VPIRG. We have been working on this proceeding since

1 the fall and the workshop process that happened then.  
2 We are engaged closely with acoustics expert Scott  
3 Bodwell of Bodwell Enviroacoustics who unfortunately  
4 couldn't join us today.

5 MR. KNAUER: I think you're getting  
6 feedback from the two mics.

7 CHAIRMAN VOLZ: All the mics need to be  
8 off except the person who is speaking. Make sure  
9 your green light is not on. There will be a green  
10 light if it's on.

11 MS. WOLFE: Thank you very much to the  
12 Board for allowing us time to speak this morning and  
13 for your thoughtful consideration of ours and the  
14 other parties' comments in this proceeding.

15 Because Mr. Bodwell can't join us  
16 today, and because we have spent significant time  
17 throughout this proceeding discussing the modeling  
18 and the monitoring protocols of the proposed rule,  
19 I'm not going to dwell as much on that today. As we  
20 said in our comments, we largely support the  
21 construction of this rule, and we think it is based  
22 on acoustic best practices.

23 We did note several technical areas  
24 that could have significant on-the-ground impacts  
25 that we would appreciate the Board's careful review

1 of to ensure that this rule is not unnecessarily more  
2 restrictive than it's intended to be. But because we  
3 support the construction of the rule, our primary  
4 concern here today is a policy question really rather  
5 than a technical acoustic question, and that question  
6 is should this rule set forth in this proceeding  
7 allow for the development of wind in the state or  
8 not.

9 And we have looked at the research. If  
10 we had learned that there were health risks at the  
11 levels of sound that we are talking about, we would  
12 have advocated for a lower sound standard at the  
13 beginning of this proceeding. If we had learned that  
14 there were health risks at a sound level so low that  
15 wind would not be possible in the state, we would  
16 have gone to the legislature and advocated for a stop  
17 -- to not build this technology anymore.

18 This is what we have done. We have  
19 successfully advocated for a ban on hydraulic  
20 fracturing for those reasons, a ban on toxic  
21 chemicals like BPA and phthalates in children's  
22 products. The research doesn't support that ban.  
23 The research doesn't support a ban on sound levels at  
24 this level, at the levels that we are talking about.  
25 It's not supported by the evidence, by precedent, or

1 by Vermont law.

2 I want to discuss before I move on to  
3 the other aspects of this specific rule just the  
4 important context that is in place whenever we have a  
5 discussion about energy generation, which is that  
6 here in the United States when we turn on the light  
7 switch, we expect the light to come on. That demand  
8 is a constant in this discussion. Even as efficiency  
9 and conservation technologies improve, and we  
10 continue to work to expand our efforts in those  
11 areas, we expect -- and ISO New England the  
12 Department of Public Service have forecasted -- that  
13 our energy usage is going to increase not decrease  
14 over the next few years. And that's largely due to  
15 increased investment in electric heating and  
16 transportation alternatives.

17 The Board is very familiar with the Act  
18 56 tier three implementation process which encourages  
19 the already heavy investment in those areas. That  
20 new technology, that increase will call for new  
21 generation. And if that new generation does not come  
22 from renewable sources, it will come from fossil  
23 fuels. Taking a critical renewable energy source off  
24 the table right now, which again to be clear, that we  
25 think this decibel limit will do, means that we are

1 inherently encouraging new fossil fuel generation.  
2 I'm not going to dwell here today on the significant  
3 proven health and environmental impacts of fossil  
4 fuel generation other than to say that it's clear  
5 that the impacts of that generation lies primarily on  
6 the communities that host that generation, and that  
7 generation is not found in Vermont. And we cannot  
8 continue to let other states bear the burden of our  
9 energy needs in this way.

10 But also to be clear, those impacts do  
11 not know state lines. Even if the primary impacts do  
12 occur to people in other states and in other  
13 countries, we still feel them here today both  
14 economically and environmentally. And that's why  
15 state policy dictates that we move towards renewable  
16 energy and away from fossil fuels and other non-  
17 renewable resources. So that's an important context  
18 as we continue this discussion and any discussion  
19 under renewable energy in the state.

20 As I will discuss, the evidence doesn't  
21 support this low of a decibel level as it relates to  
22 public health. So what we are talking about is more  
23 of an aesthetic or annoyance-based decision.  
24 However, based on the studies that we have looked at  
25 around annoyance from wind turbines, the nighttime

1 limit of 35 decibels is contrary to Vermont law and  
2 the precedent around aesthetic decisions. There are  
3 two basic regulatory principles at work here when we  
4 are talking about aesthetics in Vermont. The Quechee  
5 standard which holds that noise or negative visual  
6 effect is an undue adverse impact when it would be  
7 shocking or offensive to the average person, and the  
8 common law which protects landowners when impacts  
9 cause substantial interference with a normal person's  
10 enjoyment or the use of their property.

11 We looked at a number of these studies  
12 that specifically examined annoyance, and it's clear  
13 that there is some level of annoyance from wind  
14 turbine sound, but the number of respondents who said  
15 that they were annoyed at all levels of sound between  
16 35 to 45 decibels was a small minority of the  
17 respondents. Neither the Quechee test nor the common  
18 law is intended to protect against noise from a small  
19 minority of residents. This falls far short of the  
20 standard of being shocking or offensive to the  
21 average person. And by the same token, it could be  
22 characterized as a substantial interference with a  
23 normal person's enjoyment of their property. So  
24 based on this evidence that -- neither the Quechee  
25 test nor common law support a standard that's this

1 low.

2 It's also unprecedented, and we have  
3 talked a lot about how this is -- there is no other  
4 standard in U.S. that's as low as what's being  
5 proposed here. But I want to dwell a little bit on  
6 Denmark and Germany as two jurisdictions that have  
7 been brought up frequently throughout this discussion  
8 as places that do have comparably low standards and  
9 have continued investment in wind power throughout  
10 the modern day. Really that comparison is  
11 unsupported. The two lowest land use designations  
12 here, the noise sensitive land use and the purely  
13 residential land use, are considered in these  
14 countries to be their dense urban zones. This would  
15 be the equivalent of where we are today; downtown  
16 Montpelier, downtown Burlington, downtown cities in  
17 Vermont having the lowest sounds limits.

18 This is an acknowledgment in these  
19 countries of the working landscape and the desire to  
20 allow the land to be continued to be used for  
21 economic and environmental purposes including  
22 renewable energy. And an encouragement for urban  
23 density, for people to move into these urban zones.  
24 Here in Vermont we have a similar appreciation and  
25 prioritization of the working landscape, the similar

1 acknowledgment that we want it to be continued to be  
2 used for those purposes.

3 Most areas with strong wind resource  
4 here would be equivalent to the open countryside and  
5 heartland, mixed villages, mixed areas designations  
6 which are between 42 and 45 dBA. I want to touch a  
7 little bit on the studies that were listed in the  
8 Board's filing in the source documentation of  
9 scientific information list. These studies we went  
10 over in detail in our comments, but I've provided a  
11 high level summary here.

12 As you can see, the conclusion from  
13 these studies is that none of them support a level of  
14 35 dBA LEQ at 100 feet from the residence even when  
15 discussing annoyance specifically. Most of these  
16 studies have an inherent recognition that annoyance  
17 can lead to secondary impacts like sleep disturbance  
18 which can lead to tertiary health impacts. These  
19 studies take this into consideration when setting  
20 their health recommendations, which all either  
21 explicitly support a short duration limit of 45 dBA  
22 or an annual limit of 40 dBA which is shown by our  
23 expert's testing in Maine, which we discussed in our  
24 December presentation, would be achieved by a short  
25 duration limit of 45 dBA when paired with the



1 conservative modeling approach that has been laid out  
2 in this proposed rule.

3 I would also note that the exterior  
4 recommendations found in each of those studies are  
5 measured at the facade of the home. We very much  
6 support the protocol of measuring at 100 feet from  
7 the residence, but it's worth noting that, of course,  
8 in that hundred feet the sounds actually measured at  
9 the facade of the home would be quieter than those  
10 measured a hundred feet away.

11 To reiterate, none of these studies  
12 support the nighttime limits set forth in the  
13 proposed rule.

14 I'll briefly touch on setbacks again.  
15 We touched on this significantly in our comments that  
16 we filed in January. But I want to be clear that  
17 this setback as proposed in this rule is also highly  
18 restrictive and unnecessarily so. Given the low  
19 decibel limit that has been proposed, the setback is  
20 largely duplicative. The restricting factor will be  
21 the decibel limit.

22 In the rare instance where the setback  
23 is in fact the restricting factor, that setback would  
24 be unnecessary since the levels of sound at that  
25 residence would clearly be below the set decibel

1 limit. Even if the decibel limit were to be  
2 increased, a setback would still be unnecessary for  
3 regulating sound because the decibel limit would be  
4 set based on public health best practices and would  
5 adequately protect against potentially harmful levels  
6 of sound.

7 I would also just point to this  
8 illustration which we also shared in our December  
9 presentation as a good example of just how  
10 significant the shift from 45 decibels to 35 decibels  
11 is. You can see the level of 45 is the inner line of  
12 the red band between the yellow and the red, and the  
13 level of 35 is the inner band of the white band  
14 there. And so you can see it's about 3,000 feet from  
15 the middle of the turbine string to the 45 decibel  
16 line, and I would estimate that it's over two miles  
17 to the white decibel line -- sorry, to the white 35  
18 decibel line.

19 That concludes my presentation, but I'm  
20 happy to take any questions from the Board or others  
21 in the room.

22 MS. CHENEY: I have a question. So on  
23 this map that you just had on the wall, I can see  
24 where 3,000 feet -- did you just say that the white  
25 is two miles from the turbines in this illustration?

1 MS. WOLFE: I haven't measured it, so I  
2 can't say for certain. I was just looking at the  
3 3,000 feet and then estimating out.

4 MS. CHENEY: Okay. Thank you. And one  
5 more question. You mentioned a small minority as  
6 being annoyed, and I'm wondering if you're using --  
7 if that is the same as on your next to last slide  
8 where you mention the 10 percent annoyance cited by  
9 the Health Canada study. Is that what -- the same?

10 MS. WOLFE: That was one of the studies  
11 that we looked at. We additionally in our comments  
12 reviewed several of the primary studies that were  
13 cited by the Massachusetts DEP review that actually  
14 were the folks who went out and asked these people  
15 how they felt. And the numbers found in those -- the  
16 2004 study found that seven and -- sorry, 20 percent  
17 described themselves as very annoyed between 37.5 and  
18 40 dBA. 36 percent described themselves as very  
19 annoyed above 40 dBA. And other numbers were  
20 similar, you know, actually larger sample size only  
21 six percent in the 37.5 to 40 dBA range and 15  
22 percent over 40 dBA range reported annoyance out of  
23 754 people that responded in that second study.

24 MS. CHENEY: In which study are you  
25 referring to there?

1 MS. WOLFE: So these are peer-reviewed  
2 studies that were cited by the Massachusetts DEP.  
3 This is on page 12 of our comments. This was  
4 Pedersen & Wayne. They're 2004 and 2007 studies that  
5 I just cited.

6 MS. CHENEY: Thank you.

7 MS. HOFMANN: So you indicate that our  
8 nighttime limit is unprecedented. Aren't there some  
9 jurisdictions where they are using 10 decibels over  
10 ambient as the standard, and thus, couldn't they be  
11 similar to what we are talking about in our proposed  
12 rule?

13 MS. WOLFE: We are unaware of any place  
14 where that 10 decibels over ambient would be treated  
15 as low as this. Because this is so --

16 DR. QUIN: May I offer a correction on  
17 this please? I used to work in Massachusetts DEP. I  
18 was the state noise analyst, and we took a look at  
19 some projects like this in a few locations.

20 We actually did find a one or two spots  
21 in the Berkshires where that the 10 over level was  
22 pretty comparable to what you would have gotten in  
23 Vermont, so we actually had -- one of the projects we  
24 were looking at, which we could not -- we took a look  
25 at them, and the developer came, and obviously we

1 reviewed it carefully. And it was about -- the  
2 ambient was around 25, and it was about 35. So it  
3 actually does occasionally happen in very quiet  
4 locations, but that was an extreme case. It only  
5 happened once or twice in the very hollows below  
6 large mountains.

7 MS. HOFMANN: I'm sorry. I know we  
8 went around at the beginning. Could you identify  
9 yourself please?

10 DR. QUIN: Howard Quin. I used to work  
11 at the Massachusetts DEP. I was the state consultant  
12 -- wind analyst for all the wind turbines, so we  
13 looked at this a lot.

14 MS. WOLFE: Thank you. I would just  
15 reiterate that even if sounds were -- even if sounds  
16 were so quiet that it would be 10 dB over the  
17 ambient, setting the standard of 30 or 35 dBA based  
18 on that, is trying to -- is overly extreme based on  
19 the studies that are set forth here.

20 So even if there were -- there was  
21 occasional or sort of unique instance where that  
22 might occur, that would be sort of overly extreme  
23 based on the Act 250 review, based on the common law  
24 precedent, where we are trying to protect the average  
25 person, not the sort of unique case.

1 MR. COTTER: Ms. Wolfe, this is a  
2 question about the comments that you submitted in  
3 advance of today. So I understand your consultant is  
4 not here, so I don't know if you're able to answer  
5 this or not. But the other acousticians in the room,  
6 if you could keep this question in mind, and then  
7 when it's your turn to present, you could go ahead  
8 and answer it at that time.

9 You recommended -- the proposed rule  
10 says for modeling, we should model a receptor  
11 location at four meters I think it was. So roughly  
12 14 feet. And then for the operational monitoring  
13 phase the microphone height is set at four to five  
14 feet, and VPIRG recommended that the modeling  
15 receptor height be brought down to be consistent with  
16 the four to five feet for the monitoring height.

17 And I was curious, do you know what  
18 happens to the output of the model if you lower the  
19 model receptor height from four meters to four or  
20 five feet?

21 MS. WOLFE: That would be a question  
22 for our expert. This was a comment that, you know,  
23 he encouraged us to include. It was based on  
24 consistency. We think that if the model -- if the  
25 model is going to be consistent with what's

1 ultimately monitored, then the microphone height  
2 should be in the same place as the microphone was  
3 essentially modeled to be.

4 MR. COTTER: My understanding is that  
5 the point of modeling the receptor up at that height  
6 is because it's assuming that there are bedrooms on  
7 the second floor of a house. And so I'm curious if  
8 you know, or if other folks can address it when their  
9 turn comes up, if consistency is that important  
10 should we be lowering the modeling receptor height or  
11 raising the microphone height for monitoring  
12 purposes?

13 MS. WOLFE: I won't address that  
14 question. I'll leave that to the other acousticians  
15 in the room.

16 MR. COTTER: Thanks. I didn't mean to  
17 ambush you.

18 MS. WOLFE: It's okay. I appreciate  
19 the question.

20 MR. KNAUER: In your written comments  
21 you state that the proposed rule would be a  
22 functional ban on wind development in Vermont. Do  
23 you have an opinion as to whether it's the proposed  
24 decibel level or the setback or both?

25 MS. WOLFE: So certainly the more





1 that anything below 42 would serve as a functional  
2 ban?

3 MS. WOLFE: We would have to look at  
4 exactly what the modeling parameters were. But we  
5 were very concerned even at the level of 40 in the  
6 draft rule in February, with the conservative  
7 modeling parameters that that would not allow for  
8 more wind in the state.

9 MR. KNAUER: Thank you.

10 MR. EDGERLY WALSH: Two brief points.  
11 One, we haven't asked the acoustic engineer that we  
12 contracted with to review the 35, 36 each decibel  
13 level on up. Then I would also refer back to our  
14 earlier comments that made clear, and Sarah  
15 referenced this in her presentation today, that with  
16 this kind of conservative modeling we are actually  
17 talking about a decibel level that's significantly  
18 lower than the number on the page in the limit. And  
19 that's why we think that, you know, pairing something  
20 in that 42 to 45 range with this kind of conservative  
21 modeling is actually quite protective from a public  
22 health standpoint, and perhaps even a little bit more  
23 restrictive than is strictly necessary to be  
24 protective of public health.

25 CHAIRMAN VOLZ: Any other questions

1 from anybody? Okay, VPIRG. Thank you.

2 I think we are ready for Vermonters for  
3 a Clean Environment.

4 MS. SMITH: They have some computer --  
5 technical things to set up, so I'll make some  
6 comments while they are doing that.

7 CHAIRMAN VOLZ: Okay. Identify  
8 yourself for the record. We know who you're.

9 MS. SMITH: Annette Smith, Executive  
10 Director of Vermonters for a Clean Environment. We  
11 have been working in the public interest with the  
12 neighbors on these issues for eight years. And I  
13 would like to make the distinction that while Vermont  
14 Public Interest Research Group has those words in  
15 their name, they actually represent the industry, and  
16 their interest is to see more wind development. Our  
17 interest is to make sure that the people of Vermont  
18 are not harmed by the industry.

19 And it's been consistent throughout our  
20 work on many issues in the state. And so we are here  
21 to assure that people's health is protected, that  
22 people's quality of life is protected, that people  
23 have the peaceful enjoyment of their properties, and  
24 that they don't have to do what we have had -- what  
25 we have watched happen which is people abandoning

1 their homes and getting sick as a result of the wind  
2 industry.

3 We are strong supporters of renewable  
4 energy and want to see the renewable energy business  
5 succeed and believe that what has happened in recent  
6 years has actually caused more opposition because we  
7 have not addressed the noise issues in an effective  
8 way. And so we know that the standards that we have  
9 aren't working at 45.

10 And so we appreciate very much this  
11 opportunity to educate, and it looks like we are  
12 ready. So thank you.

13 MR. AMBROSE: Can someone shut the  
14 lights down, please? Because I ended up using white  
15 in a lot of my slides.

16 CHAIRMAN VOLZ: Could you identify  
17 yourself for the record?

18 MR. AMBROSE: I'm sorry. My name is  
19 Stephen Ambrose.

20 CHAIRMAN VOLZ: Thank you.

21 MR. AMBROSE: The bottom of the slide.  
22 I've been an acoustician, noise control engineer,  
23 environmental acoustics 40 plus years, and it's a  
24 profession I have thoroughly enjoyed having come from  
25 the background in civil engineering. And I have

1 learned this trade by doing. And one thing I learned  
2 early on from my mentors was people do not complain  
3 about how loud the sound is. They complain about how  
4 loud it is above background.

5 And the correlation -- we basically say  
6 it makes it very simple for a noise control engineer.  
7 It's much easier to put a noisy noise source in a  
8 noisy environment than to put a noisy noise source in  
9 a quiet environment. And this is what happens with  
10 quiet; sound travels great distances. It's when it  
11 runs into the background sound level that it  
12 disappears. Urban areas you end up having the sound  
13 level disappear into the background fairly close to  
14 the noise source because there are so many other  
15 manmade noise sources participating in the  
16 environment. What happens in quiet areas, it's  
17 quiet. There aren't any other noise sources. And to  
18 end up saying that wind exists as a noise source is  
19 false, and I will discuss that.

20 Wind is a contaminant. We do not want  
21 wind on the microphone because it distorts and ruins  
22 measurements. So I'm here because I'm frustrated by  
23 my profession. They have lost track of why we do  
24 noise control engineering, and that is so industry  
25 can be good acoustic neighbors. I know when I

1           succeed doing my work, when the client and the  
2           neighbor says, gee Steve, is that all the noise there  
3           is? That's not bad. That's success. When you put  
4           something out there and they go, oh, that's awful,  
5           you missed your mark.

6                         The hard part of noise control  
7           engineering, which is the wind turbine is making it  
8           fit into the environment that it's in, and you have  
9           to use your ears. Your ears are the most powerful  
10          tool. A sound level meter is nothing more than a  
11          volt meter that's been designed to measure the  
12          response of a microphone. It only measures volts.  
13          There is no intelligence to it. They can collect  
14          lots of numbers, no intelligence.

15                        Okay. This is what I have observed in  
16          Vermont, Maine, Massachusetts, throughout the  
17          country. We have acoustic experts who are missing  
18          the mark. We have international standards that do  
19          not address people sufficiently. We have measurement  
20          protocols that deal on the science of the measurement  
21          not on the listening of the neighbor. And it's not  
22          working, and it's sad.

23                        Okay. Here I am. My background, I  
24          have been doing private consulting since 1990. I  
25          worked for Shaw Group and Stone & Webster. And they

1 kept calling me back to work, so I worked into the 2  
2 thousands, 2010 I think was the last time I worked  
3 with the Shaw Group. I love my profession. And I've  
4 kind of gone through this already. U.S. regulators,  
5 you're not the experts in acoustics. I'm the expert.  
6 You tell me how loud you want it to be, and if you  
7 tell me it's too loud, I go back to my experience  
8 that says, no, 45 is too loud because the area is so  
9 quiet. You need to address the neighbor. You do not  
10 want complaints. And I've hit on this, noticeable  
11 increase in noise level. Loudness when it warbles.  
12 Objectionable sound character like a Harley-Davidson  
13 motorcycle. Tonal frequencies like a bad ballast  
14 transformer in a fluorescent light. Or if it  
15 interferes with normal human activity. A  
16 conversation. If a Harley goes by, you kind of have  
17 to pause your conversation, wait until the sound goes  
18 away, and then pick it up again.

19           The most critical is sleep. And this  
20 is where lives are being devastated. I know of two  
21 people, and I've met one of them who have committed  
22 suicide because they could not leave their home for  
23 relief from their wind turbine. Sad. This is why we  
24 are here. This -- I could end my speech -- my  
25 presentation right here. If you look at the red line

1 this is based on EPA studies that go back to the  
2 1950s, '60s, '70s, those dots represent samples of  
3 communities being classified and the human response  
4 to noise levels.

5 What I have done is I have normalized  
6 the receptor background sound level. It's kind of  
7 twisted what the EPA had done, so I can end up saying  
8 how loud can a sound be in this environment. And I  
9 look at the studies, and I go old rule, strong  
10 appeals to stop the noise. What's the sound level?  
11 40 to 45 dBA. Amazing.

12 And you look at those gray lines, those  
13 are the Pedersen & Wayne studies. Strong correlation  
14 with EPA. Amazing. And Vermont being in green at  
15 the bottom, those are the sound levels where in most  
16 communities 25, 27 dBA and quieter. But one of the  
17 things about the human response is when does it  
18 interfere with activity? And the most sensitive  
19 activity is sleep, and the trigger point, the onset,  
20 is 30 dBA.

21 And so what I have always ended up  
22 saying if I'm in an environment that's 15, and I want  
23 to protect people, I can go up to 30 dBA, a 15 dB  
24 increase or even maybe marginally 35. So the noise  
25 level increase is much more generous in the very,

1 very low. But the trigger point is sleep which is 30  
2 dBA. The onset. Now some people like my wife, you  
3 can haul her away in the bed when she is sleeping and  
4 she won't even wake up. She is on the 40 dBA sound  
5 or above, but most of the population is in the range  
6 of 30 to 35. A good compromise, 35 dBA. That's --  
7 and we will find other evidence I'm going to present  
8 that shows that.

9 And my feeling is with Maine since we  
10 know, excuse me, with Vermont, we know the  
11 environment is quiet. Why don't we just mandate we  
12 have a quiet environment except in our urban areas.  
13 Burlington. And let me tell you, having been there  
14 at night, it's quiet after the bars close and the  
15 college kids are snoozing.

16 So the ambient baseline for Vermont,  
17 27 dBA, even though it gets down to 22, 25. Even RSG  
18 has measured 19 at sites. You adopted a 42 for  
19 daytime. It's reasonable. EPA would end up saying  
20 daytime ends at 7 p.m. So you set a noise limit of  
21 35 dBA. Well this agrees with ANSI S12.9 part 3  
22 which most acousticians should use as a guideline for  
23 when do people complain. And when you want to end up  
24 having compliance measurements you want an observer,  
25 someone to listen there.



1                   What's the first thing I do when I get  
2 out of the car to do a noise measurement? Do I hear  
3 the noise source? I mean it's that simple. And if I  
4 don't, then I go to the operator and say what's going  
5 on. He says, oh, we shut it down for maintenance.  
6 So it's simple. If you're going to do a wind turbine  
7 noise measurement, you better hear the turbine, and  
8 for wind turbines they're worst when they are about  
9 60 percent power. But I would like to measure at 80  
10 to a hundred percent.

11                   Okay. I spent two weeks off and on  
12 trying to read your sound rule. It is -- I can't  
13 believe it. When I grew up and was learning this  
14 profession, sound regs were one page; gave the limit,  
15 and followed international standards on most. This  
16 one got so twisted, have experts transform a simple  
17 sound assessment to very complicated, thereby making  
18 enforcement impossible. That's where you're at.  
19 It's unbelievable. And this is the one that gets me  
20 the most. These companies work for the Mass. DEP and  
21 clean energy to promote wind turbines. And they have  
22 captured you, regulatory boards, in Massachusetts, in  
23 Vermont, and around the country. I cannot believe  
24 it. People who are basically installing wind  
25 turbines writing the rules. Careful. And this is my

1 -- I just said that.

2                   Okay. Ambient sound measurements.  
3 Verify. What's verify mean? Listen. Acousticians  
4 have well-documented environments. As a matter of  
5 fact, here's a company highly respected HMMH. They  
6 have got a noise thermometer that shows quiet rural  
7 nighttime it's about 25 dBA. Look where Lowell and  
8 Sheffield are. 20. That was measured. Here's  
9 another company. They are in agreement. Same  
10 thermometer. Different presentation. Measurements  
11 have to be made in proper locations. Out in the open  
12 away from obstructing noise or noise source. Wind  
13 and trees. Why put a microphone under a tree if  
14 you're going to hear leaf rustle. It raises the  
15 ambient. It's a false measurement. Putting it near  
16 a snowmobile trail you're going to get a high LEQ  
17 because the loud snowmobile goes zipping by. Only a  
18 matter of seconds, contaminates the measurement for  
19 that period.

20                   Here we have got microphones in the  
21 woods. This is here in Vermont. The wind screens  
22 are so close to the branches that I can't tell for  
23 sure what -- if a leaf rubs against the wind screen  
24 it's going to make a fuzzy sound. Contaminated  
25 measurement. This one gets the heck out of me. Here

1 we have got a microphone out in the field exposed to  
2 wind, and the anemometer is behind the trees not  
3 exposed to wind. So we are going to get microphone  
4 wind noise with no wind speed. And this is the coup  
5 de gras. This happened in Massachusetts. First set  
6 of measurements were made in the trees. Second set  
7 of measurements made in front of a reflecting house  
8 for a compliance test. Not good. And these were  
9 plotted. They gave the coordinates, and I plotted  
10 them. This is where the -- I have to curb my tongue,  
11 they're only estimates. Wind turbines are measured  
12 at test facilities. They are flat ground for miles.  
13 And they measure at 1.5 times the height of the hub.  
14 So they are in the near field to the wind turbine.  
15 You really need to get three to five height distances  
16 away before you get into the far field where the  
17 sound spreads out in a predictable pattern. ISO  
18 9613, the rule that they use to regulate or to  
19 predict, it only predicts the long-term average for  
20 stable weather. Remember, they measure flat ground.  
21 Varying topography like in Vermont has all kinds of  
22 weather. We do not understand the layering of the  
23 atmosphere with altitude. Different wind speeds,  
24 different temperatures, different humidities, all  
25 those variables in there. When we are in close to

1 the noise source, those variables have very little  
2 impact. But as we get farther and farther away, they  
3 become more significant.

4 So the noise model is only good for a  
5 thousand meters. 3,000 -- 3,300 feet away. And it  
6 has an accuracy of plus or minus three dB. The  
7 height difference between the noise source and the  
8 receiver should be 30 meters. No greater than that.  
9 Because the model doesn't work, it hasn't been  
10 calibrated for that. And I'm going to show you why.  
11 I did the layering structure, but here's -- from the  
12 CADNA model, the people who write prediction models  
13 for the noise standard. Problem, nobody knows layer  
14 structure. This is why the models are deficient.  
15 And that was from a lead writer for CADNA.

16 Okay. In ISO 9613 which is the  
17 standard, it tells that it's a ground which is  
18 approximately flat, horizontally over the constant  
19 slope. This section disqualifies itself. You can't  
20 use ground attenuation. The alternate method is only  
21 valid for dBA. Wind turbines are very rich in low  
22 frequencies, so dBA is not really an appropriate term  
23 to use at all. So what that means is ground  
24 attenuation doesn't exist in the model. It's  
25 basically -- it should not be used, should not be

1 permitted, because it's going to introduce an error  
2 between two and four dB, if used, depending on the  
3 distance.

4 Now this is one that's going to take  
5 awhile to go through. The bottom is distance. Then  
6 on the Y axis is height to 30 meters. This is the  
7 differential height. Everything underneath that  
8 yellow line is where the model has inaccuracy. And  
9 above that line, which is all of Vermont, the model  
10 doesn't work. It does not work. You have to go back  
11 to the basics. Sound power level predicted to a  
12 distance with atmospheric absorption. That's about  
13 the basic that you can get.

14 And the problem with wind turbines is  
15 when you get far away, and you're up on a ridge, they  
16 are not a point source. They are a line source. The  
17 difference between a point source and a line source  
18 is they decrease at different rates. A point source  
19 decreases at six dB per doubling of distance, which  
20 means 90 at 50 feet, at a hundred feet it's going to  
21 be 84. And at 200 feet it will be 78. That's how it  
22 decreases. A cylinder, much smaller decrease, wind  
23 turbines when you're at a neighbor's house, appears  
24 online source. It's a much lower -- this is why we  
25 are getting errors here of predictions that are under

1 what they measure. And it's not because they are  
2 measuring wind. They are wind contamination. This  
3 was done years ago. And I remember it was done by  
4 Ron Hornjeff a consultant. He's retired, in  
5 Massachusetts. He looked at all these wind turbines  
6 that are operating, and compared predicted versus  
7 measured. And we normalized it to what the level of  
8 predicted was being zero.

9 So all those red bars indicate how much  
10 the model missed it from the actual measurements.  
11 Kibby. That's a huge site. And they are all missing  
12 3 to 12 dB. What I was taught at Stone & Webster  
13 since we have unknowns about our noise source, how  
14 loud it actually can be, and how the atmosphere  
15 works, we put in a design margin depending on the  
16 source it would be three to five dB to account for  
17 this so that we would not surprise the neighborhood  
18 with it's louder than we thought.

19 Okay. They are up -- there is two  
20 noise prediction models. One is the Nord 2000 which  
21 is an European model that's being used, and it's  
22 versus the ISO 9613-2 which is predominantly used  
23 here. Wanted to point out that the measured is an  
24 actual level predicted as an estimate. You look at  
25 the red line there, that's the Nord model, and those

1           little diamonds represent the measurements. The  
2           green -- the ISO -- is down at the bottom of the  
3           curve, and you can see in the 500 hertz band it's  
4           missing by five dB. That is why we have to be  
5           careful with noise models. They are not more  
6           accurate than a measurement, because the measurement  
7           accounts for what nature is doing to the sound.

8                         I'm sorry. The baby had to come back.  
9           I tried to read this and understand what it meant.  
10          And my little friend, same amount of hair I have,  
11          they can go on forever because you've got to keep  
12          getting 12 samples, and they get to choose which  
13          samples get put into the protocol. And they use a  
14          technique called binning, which means how is the  
15          measure compared to what we predicted. And if it's  
16          too loud, we can end up saying, well, that's wind  
17          noise, that's contamination. We can throw that data  
18          out.

19                        And I took 12 measurements, and I had  
20          five that exceeded the noise limit, yet when you  
21          average all 12 together, they complied at 35. Yet  
22          when you do the true math in acoustics where you add  
23          logarithmically, they exceeded. People don't take a  
24          year, six months, an hour to decide that they like a  
25          sound. They let you know in an instant. It really

1 is. It's just if they know the sound is temporary,  
2 they will tolerate it. When they don't, they know  
3 it's forever, they are persistent.

4 Here is the simplest of compliance  
5 tests. Turbine on, turbine shut down, with an impact  
6 assessment. I'm sorry that -- is there a focus on  
7 this?

8 MS. WOLFE: That's a little better.

9 MR. AMBROSE: Just too bright in the  
10 room. It was great on my wall at the house. But you  
11 can see the modulation of the turbine, the  
12 fluctuation people are always complaining about.  
13 It's always going thump, thump. Then they are going  
14 to the shut down. That's where you get that rising  
15 peak because the blades now aren't working  
16 efficiently and everything is starting to shut down.  
17 And as it goes down you get that little blip which is  
18 as the mechanicals kick in. And then it's off. And  
19 there on the bottom, that's the ambient. And what  
20 it's saying there it's 27 dBA in the ambient. The  
21 peaks are at 46. Well that looks like a 20 dB  
22 increase. Yes. People will complain.

23 What I tacked on the end of this is an  
24 impact assessment. And it says the people will  
25 complain. Widespread complaints, yeah. It just --



1 it sounds awful. Appeals to stop the noise. Sounds  
2 like Vermont. And this was done way back. Wind  
3 masking. Faux argument. That is -- these are  
4 rationales that they are being used. These are all  
5 faux. The only way you can get these to work is if  
6 when you average the data over time. And if I was to  
7 speak, and you were going to listen to my average  
8 sound to make an evaluation of what I've said, this  
9 is what it would be. Mmmmmmmmmmm. Doesn't work. It  
10 just hides everything. Everything.

11 And this is Karl Bolin. His doctoral  
12 thesis shows that a wind turbine can be heard -- tend  
13 to be quieter than the ambient sound level. It's  
14 because of its unique acoustic signature, its sound  
15 character. We recognize things because we can  
16 process a signal-to-noise ratio. We can pull  
17 information out.

18 Infrasound. This is serious. I can  
19 speak from personal experience. I have been a wind  
20 turbine victim of this infrasound. Anyone on the  
21 Board prone to motion sickness? Because if you are,  
22 beware. If you're not, you're blessed.

23 I was a radio navigator in the service.  
24 We used to joke and said why don't we give Ambrose an  
25 airsick bag with a clear bottom so he can navigate

1 while he's sick. Well we never got lost. I was  
2 always able to navigate, but it's a miserable  
3 feeling. Absolutely. And this graph here shows what  
4 it looked like outdoors. Kind of a fuzzy black line.  
5 And but indoors, due to the structure of the house  
6 filtering out a lot of the higher frequencies, these  
7 are the pressure pulsations that are occurring in the  
8 house that the ear senses and the brain responds to.  
9 And here's -- this is me. Nauseagenic frequency  
10 motion sickness when the ISO standard. It shows as  
11 the wind turbines are getting bigger and bigger, they  
12 are getting lower in frequency. So they have moved  
13 down into the nauseagenic range. Early on, wind  
14 turbines did not do that, but once you get into the  
15 one hertz range and lower, you're going to be sick.

16 And I will give you this slide. I  
17 wasn't able to print it out. And this is my evidence  
18 doing the Bruce McPherson study, and it has been a  
19 peer-reviewed report, and we correlated about three  
20 months after the fact the reason why we were having  
21 such a hard time getting data is because we were  
22 sick. And when we plotted our journals of  
23 measurements and what we are measuring and what we  
24 are doing and how we felt, we knew nothing then about  
25 wind turbine syndrome. Nothing. It turned out there

1 is a strong correlation to electric power output to  
2 how we felt. So I think we validated Sue and Ed  
3 Hobart in their house. We met them. Five minutes  
4 later they told us, use our house. They invited us  
5 in. We set our instruments up on the dining room  
6 table. They bought dinner, brought it in from a  
7 restaurant. And then they said the beds are made up.  
8 We are going to go sleep elsewhere. We are taking  
9 the dogs. Abandoned their dream home to us. That's  
10 the third time. I have had two others do it to me.

11 Okay. This is what your noise standard  
12 does not -- your noise rule does not address. Wind  
13 turbines cause these, they are not audible, but loss  
14 of well-being, you know, feeling good about yourself,  
15 feeling good about being at home. Cognitive ability.  
16 How about having, with 35-years experience, having to  
17 pull out the manual on a sound meter to calibrate it  
18 properly that you've done for years. Stress. Sleep  
19 disorder. Interruption. Okay. You can wake up at  
20 night, but when you never can go to sleep, that's  
21 bad. And the nausea, the headaches, the vertigo.  
22 Yeah.

23 You guys have done excellent, I was --  
24 you could have pushed me over a feather when I heard  
25 that you were considering 35 dBA. Absolutely. And

1 you also ended up doing the setback. Sound level  
2 correlates to setback. The higher the sound level,  
3 the more the setback. And indoor 30 dBA with the  
4 WHO. That is so you protect everyone. Everyone  
5 deserves sleep. By having 35 outdoors, the structure  
6 of the house will provide some protection. It will  
7 bring the level down from 35. The advantage, 35 is  
8 called by ANSI as marginally compatible. We are not  
9 going to protect everyone. But we are going to get  
10 the majority of them. 30 is fully compatible. We  
11 will protect everyone, even the ones that are most  
12 needy, children and all that.

13 You did very well. I compliment you.  
14 I would end up saying that we have to be very careful  
15 about that's low frequencies getting into the  
16 nauseogenic frequencies as these turbines get larger  
17 and larger. This is where the serious problems are  
18 going to be occurring.

19 So I conclude there is no G in the  
20 computer model. There is no wind masking. That's a  
21 contaminant. Predictions are unreliable especially  
22 beyond a thousand meters. And all measurements need  
23 to be attended. It's just lazy to go out there with  
24 a meter, set it up, and walk away and think that  
25 you're assuring quality measurements by saying, oh,

1 I've got a thumb drive. It's going to capture wave  
2 files, or I've got a wind speed monitor that will  
3 advise me when I have too much wind. No. You go out  
4 there, and you measure when you hear the noise source  
5 and all other sources are at a minimum. I mean it  
6 is, yeah, it's pretty lousy to get up from a hotel at  
7 11:00 at night and go out and stand there at one  
8 o'clock in the morning the only person there and do  
9 measurements between 1 and 4. But if you want to do  
10 your job right, that's what you do. And it's hard.  
11 It's hard.

12 And I want to thank you very, very  
13 much. I think -- I am so impressed with the Board's  
14 decision in this direction. I have been working at  
15 this almost six years all across the country. And  
16 Vermont was the last state that I thought would be  
17 the first. But you've got it. You're superior to  
18 Maine because Maine was just a feeble compromise at  
19 42. It should have been 35.

20 As a matter of fact, Maine and  
21 Massachusetts before they wrote their new noise  
22 standards it used to be -- or Maine was five dB above  
23 ambient before they rewrote the rule in '87, '89.  
24 Massachusetts, they deal with the background sound  
25 level in a 10 dB increase. It's a very, very fair

1 way to do it, because it deals with the way people  
2 respond.

3 The thing is that we know now that the  
4 fact that the trigger point for the human response  
5 starts 30 to 35 dBA. And this is where we are at  
6 today.

7 Thank you very much. I really  
8 appreciate it.

9 CHAIRMAN VOLZ: Thank you.

10 MR. KNAUER: Mr. Ambrose, you said  
11 using a ground attenuation factor in the modeling  
12 would cause a two to four decibel error. I just want  
13 to have you speak about that a little bit more. And  
14 does that result in an understatement or an  
15 overstatement of the modeled sound level?

16 MR. AMBROSE: Ground absorption, I'm  
17 going to try to stay away from the science. It's a  
18 way of attenuating the signal, the sound level with  
19 distance. A wind turbine, remember that slide where  
20 I had the -- Vermont was up the side? The noise  
21 source has to be near the ground for ground effect to  
22 occur. And they found these ratios where they can --  
23 30 times from the height of the noise source to the  
24 -- you can get ground attenuation in that 30 times  
25 from the receiver. So a wind turbine you have no 30

1 times. It goes out tens of miles.

2 The other thing is a wind turbine on a  
3 ridge is like an airplane. It's up in the air. When  
4 you're on the ground listening to the airplane fly  
5 over, is there any ground attenuation as the sound  
6 travels across the ground to get to you? No.  
7 Because the sound is coming down from above. Well  
8 the wind turbine same thing. The sound is coming  
9 down from above. It doesn't -- ground attenuation is  
10 absorption of the ground for sound that hits it  
11 perpendicular on that. It's -- wind turbines they  
12 don't. They are too high. This is where the errors  
13 are coming in. You're playing -- they are playing  
14 with a model. I mean you can -- there is so many  
15 parameters in it that can be manipulated, it's just  
16 sound power level, distance. Semicircle of  
17 divergence, spherical, cylindrical. Use what's  
18 appropriate for the distance on that.

19 Traffic noise is viewed as a  
20 cylindrical. These guys are always filling in the  
21 gaps so it radiates as a cylinder like this. Wind  
22 turbines on a ridge is individual point sources, but  
23 when you get far enough away where the points are  
24 closer together than the distance separating you, it  
25 transitions into a cylinder.

1                   The thing you need to understand is we  
2                   are here because neighbors are complaining. We need  
3                   to understand why they are complaining and not argue  
4                   the science, the math. They are complaining because  
5                   the sound level increased too much. It's our  
6                   responsibility as acousticians to accurately predict  
7                   it, to represent what they are receiving. We are  
8                   not. We are depending on the science. Computers  
9                   have been -- I love computers. I've enjoyed it. I  
10                  remember doing long additions with the calculator and  
11                  I had to -- forget it. I mean it was a very tedious  
12                  way of doing it, where a computer you can do it in an  
13                  instant.

14                  So the neighbors are complaining. We  
15                  are dealing with a community response problem first.  
16                  Now the problem is for the acousticians to do it  
17                  right.

18                  MS. CHENEY: I have a follow up to your  
19                  question. And I noticed on the slide where you  
20                  showed the ground attenuation measurements by both  
21                  Nord 2000 and ISO, the Nord 2000 actually --

22                  MR. AMBROSE: Follows much better

23                  MS. CHENEY: Follows it. So in that  
24                  case is it more a matter of which model as opposed to  
25                  the fact that --



1 CHAIRMAN VOLZ: You need to let us  
2 finish asking the question.

3 MR. AMBROSE: I know where she is  
4 going.

5 CHAIRMAN VOLZ: Wait anyway, because  
6 everybody else doesn't know where she is going.

7 MS. CHENEY: Now I don't remember. Let  
8 me just say at least to my eyes the Nord 2000  
9 tracking looked more accurate. And was wondering how  
10 that reconciles with your saying that ground  
11 attenuation should not be used.

12 MR. AMBROSE: Well that was the  
13 prediction model, how well they tracked. It wasn't  
14 ground attenuation.

15 MS. CHENEY: It said ground attenuation  
16 on the slides.

17 MR. AMBROSE: Okay, I'm sorry. Let me  
18 get back to it.

19 MS. CHENEY: And then in general, while  
20 you're looking for that, I would be interested in the  
21 source for some of the slides. For example, the one  
22 showing a nauseogenic zone which I was not familiar  
23 with.

24 MR. AMBROSE: That -- here's the  
25 nauseogenic. That comes from ISO 1996. 2000. And a

1 lot of this work was -- had -- Dr. Paul Schomer, a  
2 recognized acoustic expert.

3 MS. CHENEY: Dr. who?

4 MR. AMBROSE: Paul Schomer.

5 MS. CHENEY: How do you spell Schomer?

6 MR. AMBROSE: S-C-H-O-M-E-R. And he  
7 was a colleague of mine. Robert Rand, he's the one  
8 who did this slide. I pasted it in on what's to the  
9 left of it.

10 MS. CHENEY: Perhaps while that's  
11 loading maybe there is other questions.

12 MS. HOFMANN: Tom, do you have follow  
13 ups?

14 MR. KNAUER: No.

15 MS. HOFMANN: I have one, Dr. Ambrose,  
16 which is there was a slide that you showed of  
17 microphone too close to the house. I couldn't get  
18 any sense of scale from your slide.

19 MR. AMBROSE: It's probably --

20 MS. HOFMANN: So how close to the house  
21 was it?

22 MR. AMBROSE: It was probably within 15  
23 feet.

24 MS. HOFMANN: Okay. And what would be  
25 an appropriate distance from the house in your

1 opinion?

2 MR. AMBROSE: Oh, the way I would do it  
3 would be 50 to a hundred feet. I mean just to be  
4 sure that I'm not getting some unique wavelength  
5 that's going to reflect off there and get me. I just  
6 -- when we get to low frequencies, low frequencies  
7 have very long wavelengths on that. But the key  
8 thing is measure too close to the house, it wasn't  
9 the prudent thing to do. And I do fault the  
10 measurement because the person wasn't trained fully  
11 on how to select that location. But the previous one  
12 under the trees, that's a no-no.

13 MS. HOFMANN: Thank you.

14 MR. FINK: Mr. Ambrose, in your work as  
15 an acoustician, have you conducted any attenuation  
16 studies of specific residences to measure how much  
17 residences' facade reduces sound transmission level?

18 MR. AMBROSE: Well no. But the --  
19 generally it's -- EPA says that with a sound  
20 attenuation through an open window is about five dB  
21 into a house. When I was at the Hobart house, that  
22 was built as a retirement dream house. Mr. Hobart  
23 was an oceanographic engineer. House was well  
24 insulated. Premium windows, 16-inch thick walls. We  
25 measured 42 dBA outside. We measured 20 inside.

1           When we looked at the low frequencies which we  
2           measured as pascals, barometric pressure, we measured  
3           in the low frequencies six dB louder indoors on that.  
4           That's why the people end up saying well I get some  
5           relief when I go outdoors. Well I can attest to  
6           that. I got some relief when I went outdoors, but  
7           when I come back in it's looking inside a drum. All  
8           those low frequencies, and this house was -- it had a  
9           great room. It was combination dining area, living,  
10          foyer and the kitchen area was all big, open. So it  
11          could support low frequency energy very easily, but a  
12          structure of a house, the volume is what determines  
13          how much low frequency reinforcement occurs in the  
14          house. But it's one of those things that I thought I  
15          was coming down with a cold. I felt lousy. Maybe  
16          the flu. Quasi nauseous. I'm sitting there at the  
17          table with my computer looking at the measurements on  
18          the screen, and I go back to when I'm flying in an  
19          old Grumman Albatross seaplane navigator seat, and  
20          you -- just a little porthole window here, and you've  
21          got instruments jumping up and down in front of you.  
22          You're trying to look at the radar screen and the  
23          Loran, and it was the same feeling. Same feeling. I  
24          mean I had that image, and I go I hadn't had that  
25          image since I was in the Coast Guard when I was 20.

1 So --

2 MS. SMITH: Can I ask him a follow-up  
3 question to that?

4 CHAIRMAN VOLZ: Yeah, sure.

5 MS. SMITH: Could you address the  
6 appropriateness of the type of test that is being  
7 used for inside and outside testing where they put  
8 the speakers up and --

9 MR. AMBROSE: Oh.

10 MS. SMITH: Please.

11 MR. AMBROSE: More faux measurement.  
12 It's false. And the reason why is wind turbines are  
13 very rich in low frequency sound. We haven't got a  
14 noise source that can produce those low frequency  
15 sounds. Now wind turbine is coming down from above  
16 the noise and enters through the roof, which is a  
17 lighter weight structure than the walls of a house.  
18 And it comes in, and it floods the room from above on  
19 the low frequencies.

20 Putting a speaker outside on a tripod  
21 elevated, it may sound good, but it doesn't do it.  
22 You need a bigger noise source. More speakers to  
23 spread it out, because the energy is coming as a  
24 giant wave, not as this little small hemispherical  
25 wave.

1                   And so these indoor to outdoor tests I  
2 wouldn't do it with a speaker, because it's not --  
3 you can't get it up high enough. It's similar to  
4 what they ended up doing at Logan airport. They  
5 discovered this, because they were trying to noise  
6 proof houses, and a syntac went out with big boom box  
7 trucks and tripods and lifts and were trying to mimic  
8 aircraft. But they could not get the sound  
9 attenuation that they needed using the boom boxes.  
10 They used aircraft instead, the jet fly-overs,  
11 because it's a big low pressure wave that comes down.

12                   CHAIRMAN VOLZ: Okay. Yes.

13                   MR. DUNCAN: I just had one question  
14 of the Board. Eddie Duncan, RSG. Are the  
15 presentations today going to be made available to the  
16 public for review?

17                   CHAIRMAN VOLZ: If people want to  
18 provide them to us, we will put them on our website.  
19 And we have the transcript from the court reporter as  
20 well.

21                   MS. CHENEY: That will be on our  
22 website as well.

23                   MR. AMBROSE: I will provide this for  
24 you.

25                   CHAIRMAN VOLZ: You can send us a copy

1 of the presentations, that would be perfect. Other  
2 questions for this witness?

3 DR. QUIN: I would like to make one  
4 comment with regard to Mr. Ambrose's statements with  
5 regard to --

6 CHAIRMAN VOLZ: Identify yourself.

7 DR. QUIN: Howard Quin. With regard to  
8 the G issue. I believe Eddie at RSG are aware of  
9 studies done very carefully in 2009. They wrote a  
10 paper on ground attenuation for wind turbines. They  
11 studied a number of them. I believe that is a paper  
12 which the Board would want to have a look at which  
13 clearly showed that it was possible to choose  
14 appropriate modeling parameters for wind turbines, if  
15 you did it right you got numbers that were very close  
16 to what they actually got.

17 A number of studies that Steve  
18 referenced in his slide I took a look at that were  
19 pre 2009. Not all of them, but a significant number  
20 were pre 2009. That was some of the stuff I worked  
21 on, but we were not at that time aware of what the  
22 actual -- there was a problem with the way G was done  
23 prior to that which RSG straightened out in their  
24 paper. So the Board I think really needs to have a  
25 look at this paper. It answers the question very

1 clearly.

2 CHAIRMAN VOLZ: Thank you.

3 MR. AMBROSE: I would like to rebut on  
4 that. The one thing with the RSG is they have not  
5 revealed in their big Mass. DEP -- Mass. CEC study  
6 have not revealed the wind turbine sites, where they  
7 are.

8 DR. QUIN: Can I answer that since I  
9 was there? There are issues -- since I was at DEP we  
10 picked the sites. The developers specifically  
11 requested for proprietary and confidentiality for  
12 reasons the sites not be identified. Otherwise we  
13 couldn't have got any sites at all. There were legal  
14 issues in terms of compliance and enforcement which  
15 were occurring at the time and they wanted to make  
16 sure that the data was not being used for compliance  
17 and enforcement of legal issues.

18 MR. AMBROSE: So it's not peer  
19 reviewable.

20 DR. QUIN: No, but that was a legal  
21 issue. It was a legal issue, Steve. They couldn't  
22 have the sites and be out there, it was going to get  
23 used in court.

24 MR. AMBROSE: But you've got to have  
25 peer review.



1 DR. QUIN: Legal.

2 CHAIRMAN VOLZ: We understand both of  
3 your positions. We don't need to have an argument  
4 about it.

5 MR. AMBROSE: I apologize to the Board.

6 CHAIRMAN VOLZ: We are going to take a  
7 10-minute break and start back up at 11. If the next  
8 presenter could get the overhead and everything  
9 hooked up, so when we get back we can start right in.  
10 That will be helpful. Thanks.

11 (Recess was taken.)

12 CHAIRMAN VOLZ: We are back from our  
13 break, and now it's Renewable Energy Vermont's turn.

14 MR. BRABANT: Hit the lights?

15 MS. CAMPBELL ANDERSON: My name is  
16 Olivia Campbell Anderson. I'm Executive Director of  
17 Renewable Energy Vermont. For the record Renewable  
18 Energy Vermont represents businesses, utilities, and  
19 individuals and non profits committed to reducing our  
20 use of fossil fuels and increase achieving the  
21 state's 90 percent total renewable energy goal.

22 MEMBER OF THE PUBLIC: I'm sorry. We  
23 can't hear.

24 CHAIRMAN VOLZ: Can you make sure you  
25 use the microphone?

1 MR. COTTER: And make sure the little  
2 green light is on.

3 MS. CAMPBELL ANDERSON: Okay. Can you  
4 hear me now?

5 CHAIRMAN VOLZ: That helps. Just get  
6 closer to it.

7 MS. CAMPBELL ANDERSON: All right. So  
8 I'm going to cover five topics. Technical  
9 capabilities of small wind turbines, a GIS analysis  
10 of the impacts of proposed setbacks and sound limits,  
11 health impact studies, sound measurement methodology,  
12 and economic impacts.

13 So first in talking about small wind, I  
14 realize that is a little hard to see --

15 CHAIRMAN VOLZ: We have the handout.

16 MS. CAMPBELL ANDERSON: Thank you.

17 MS. HOFMANN: It's a little blurry. I  
18 don't know if you can get a little -- that's a little  
19 better. Thank you.

20 MS. CAMPBELL ANDERSON: That's as far  
21 as it zooms. Okay. As you all know, there is many  
22 different types and sizes of turbine technology,  
23 projects as small as 1.6 kilowatts have come before  
24 the Board and been approved for installation. REV is  
25 -- I just want to bring to the Board's attention

1 again REV's not aware of post-construction sound  
2 complaint issues from any of the 155 residential farm  
3 or other small wind projects permitted in Vermont to  
4 date. When -- REV is requesting that the Board  
5 consider creating a residential and small commercial  
6 scale category. You could determine the levels. You  
7 know, you can see here the chart of different  
8 generation levels, but at a minimum would be 25  
9 kilowatts and less. And you could go higher than  
10 that based on the information on what is on the  
11 market.

12 But looking at the products that have  
13 been installed to date in Vermont for small wind and  
14 looking at the complaint records, I believe that  
15 would be appropriate to separate out these small-  
16 scale wind turbines so that it matches what they're  
17 presently available on the marketplace.

18 The exterior dBA level in the Board's  
19 rule cannot be achieved by any small wind turbine on  
20 the market. Small wind turbines that are less than  
21 34 kilowatts certified for sound range independently,  
22 they range from 41 decibels to 55 based on the  
23 output, and as you can see the various details in the  
24 chart here. In terms of economic impact on small  
25 wind, it's notable that Vermont is home to Northern

1 Power Systems which manufactures a significant number  
2 of small wind turbines every year in Barre, Vermont.

3 Our locally designed and built small  
4 wind turbines cannot be installed now in the State of  
5 Vermont under this proposed rule. Northern Power  
6 System employs more than 70 people, and has received  
7 recognition from the U.S. Department of Energy for  
8 their product design and manufacturing efficiency  
9 innovations. So you'll hear from another Vermont-  
10 based small wind turbine company later today. So I  
11 will let them tell their story separately.

12 Again, given these facts, REV  
13 recommends a standard no lower than 45 dBA for these  
14 small projects. The same standards -- applying these  
15 same standards of larger projects to these very small  
16 projects is really inappropriate, and the  
17 manufacturers' specifications are tested and may be  
18 further assessed in the CPG process as the Board  
19 determines, if that's a need for a specific project  
20 proposal.

21 There is also no need for or basis for  
22 requiring any sort of sound modeling for these small  
23 projects or ongoing monitoring. If required, in many  
24 cases doing so would actually exceed the cost of the  
25 turbine itself, particularly if there is no

1 complaints.

2 Also for these small turbines, the  
3 setback in the rule that's proposed is not necessary  
4 because it's related -- the rule's related to  
5 governing sound. Looking at other jurisdictions  
6 Ontario has a setback, but it does not apply to wind  
7 turbines and -- that have a capacity of less than 50  
8 kilowatts.

9 So moving on to setbacks. A properly  
10 set sound limit and enforcement mechanisms within the  
11 rule do not necessitate an arbitrary setback and  
12 would have a drastic impact on the feasibility on  
13 wind in Vermont. Given the numerous site and  
14 project-specific factors influencing sound such as  
15 the number and arrangement of turbines, topography,  
16 vegetation, REV suggested the Board maintain  
17 flexibility through the CPG process regarding  
18 setbacks.

19 A one-size-fits-all setback required  
20 for sound does not make sense in light of these  
21 differences as well as new emerging turbine  
22 technologies. It's likely that a new turbine would  
23 come on the market and not be able to be installed  
24 even if it met the sound standard because of the  
25 setback. So we don't want to in any way discourage

1 in -- the use of innovation and new technology which,  
2 as we all know, is constant in the renewable energy  
3 sector.

4 I want to walk through some slides  
5 about the proposed impacts of the sound limits and  
6 the setbacks specifically in Vermont. Vermont  
7 Environmental Research Associates developed maps  
8 using data from the Renewable Energy Atlas of Vermont  
9 and the Vermont Center for Geographic Information to  
10 inform the impact of these proposed rules on wind  
11 electricity generation in the state. So that is all  
12 the underlying data behind these maps. The maps are  
13 -- all of these maps are for the context of community  
14 and utility-scaled wind where the individual turbines  
15 have a generating capacity of 1.5 megawatt and  
16 higher. So that would be the larger category in the  
17 Board rule.

18 The first map shows areas that are not  
19 windy enough to support wind electricity generation  
20 because obviously, you know, we have constraints.  
21 You wouldn't place a turbine in an area where wind is  
22 not at a speed high enough to generate adequate  
23 electricity. So about -- when you layer on that  
24 first layer, only 10.5 percent of the land area in  
25 Vermont has adequate wind speeds in order to support

1 that scale of wind electricity generation.

2 Okay. So I'm moving on to the second  
3 map. Okay. So the second map shows areas that are  
4 currently potentially viable for wind electricity in  
5 Vermont, but -- and then it layers on top of that the  
6 existing constraints. So sufficient wind resource,  
7 proximity to transmission lines, conserved land,  
8 surface waters, river corridors, rare species  
9 habitat, deer wintering yards, proximity to other  
10 existing wind projects. So when you layer on those  
11 environmental and economic restraints, constraints,  
12 you get only 2.1 -- just a little bit over 2 percent,  
13 2.14 percent of Vermont's land being potentially  
14 viable for wind electricity generation.

15 So I'm going to move on to the third  
16 slide. So the third slide buffers were generated  
17 using E-911 structures that were identified as  
18 residences. VERA used E-911 data to map all of the  
19 land located at least 4,920 feet away from  
20 residences. This is the estimated distance --  
21 actually that's the fourth slide. That's the next  
22 slide. I got a little ahead of myself. So this  
23 slide -- sorry.

24 This slide shows what the restrictions  
25 are at 45 dBA based on the E-911, which I described,

1 and the setback. At a 45 dBA, you -- modeling would  
2 look at a setback that's 2,165 feet as you can see in  
3 the legend. And then the lavender areas are the  
4 other constraints from the higher chart, prior map.  
5 So we are layering on top here. So that leaves you  
6 with -- leaves you with about one percent of all the  
7 land in Vermont available suitable for wind  
8 electricity generation.

9 Okay. So moving on to the next layer.  
10 35 dBA. This is the one where if you look at only  
11 the 35 dBA sound limit, and require that you're a  
12 hundred feet away from residences at least, and then  
13 this is where you factor in -- we model out what 35  
14 dBA would be estimated to be. Of course it's  
15 different based on all those other factors that, you  
16 know, we have previously discussed. But that would  
17 be 4,920 feet away from any residences as an  
18 estimate.

19 And it looks like this rounded up on  
20 the printout. So this rounded up on the printout,  
21 but did not -- so it leaves you with .022 percent of  
22 the land in Vermont then available under 35 dBA  
23 limit. It says .22 percent is the little orange  
24 slice at the top. I'll have to fix -- I don't know  
25 why it printed out differently.



1                   Okay. So moving on to the impact of  
2 the setback. That's in the Board Rule that's 10  
3 times the turbine height. 10 times the turbine  
4 height setback alone amounts to a de facto ban as it  
5 would make wind development virtually impossible in  
6 all but a minute portion of Vermont's land, so you're  
7 now down to point -- you're now down to .2 percent of  
8 all land in Vermont.

9                   So the remaining -- let's talk about  
10 what those remaining areas are in the .2 percent.  
11 Again, I'm sorry. For some reason in the printout  
12 the percentages -- the printer somehow rounded up.  
13 So I will get that fixed. But what it shows there is  
14 .2 percent instead of zero.

15                   MS. CHENEY: Just quick clarification  
16 on this map. You're saying it's .2 percent but on  
17 the previous map .022.

18                   MS. CAMPBELL ANDERSON: .022.

19                   MS. CHENEY: Is it .022 or .22?

20                   MS. CAMPBELL ANDERSON: 0.22.

21                   MS. CHENEY: And this one?

22                   MS. CAMPBELL ANDERSON: Is 0.2.

23                   MS. CHENEY: Thank you.

24                   MS. CAMPBELL ANDERSON: So talking  
25 about that .2 percent that's left now. Once --

1 should the Board's rule move forward as proposed,  
2 this land area that's left is so small we are not  
3 able to confidently quantify meaningful potential of  
4 wind electricity generation and certainly not at  
5 levels that would enable the state to achieve our  
6 Comprehensive Energy Plan and greenhouse gas  
7 pollution commitments. Wind turbines have to be  
8 separated by large distances. Typically those are  
9 over 1,400 feet in any direction. Of this .2 percent  
10 very minute area that's remaining, many of these are  
11 not going to be available or suitable for project  
12 siting. You have to consider residences that are  
13 going to be constructed, suitable parcels of land may  
14 not probably -- there are going to be some that  
15 aren't available for sale or lease to access. So you  
16 can't assume you're going to be able to access all of  
17 that.

18 There are also quite a significant  
19 number of unmapped wetlands, unmapped critical  
20 habitats as we found when we go out to ground truth  
21 after first layering on the ANR data that exists and  
22 is available. Rare natural communities and unique  
23 view sheds are currently being identified by towns  
24 through the comprehensive energy planning process.  
25 So we didn't have further data to dive deeper. But

1 it looks at this point like there were only a couple  
2 areas where it may be possible to site a few  
3 turbines. And that is that would effectively be at  
4 such levels where you're looking at very close to a  
5 ban. Locating suitable locations in those patchy  
6 fragments that are left, the fragments that are left  
7 are the orange. That's it. And you can barely see  
8 most of them on the map. It would be theoretically  
9 possible, but pretty hard, pretty next to impossible.  
10 Restricting renewable energy so severely is simply  
11 not reasonable.

12 So we would ask you to reconsider this.  
13 And again, emphasize that it runs directly counter to  
14 Vermont's renewable energy goals. So in summary,  
15 this slide pulls out the pie charts of the different  
16 sections which I have discussed. So the proposed 35  
17 dBA rule and the 10 times turbine height setback  
18 eliminates 99.8 percent of all land in Vermont from  
19 generating wind electricity, leaving just .2 percent  
20 that is potentially viable, and that's a very  
21 unstable potential situation.

22 So I want to move on to talk about  
23 independent scientific studies and public health.  
24 Oh, actually one other thing on the setbacks, I  
25 apologize. The only jurisdiction that REV was able

1 to find that has adopted a setback such as, you know,  
2 the 10 times the turbine height is in the -- Germany,  
3 and that's in the state of Bavaria. According to  
4 figures from Germany's public utilities regulator,  
5 the number of wind projects moving forward dropped  
6 drastically by 90 percent after the 10 times setback  
7 rule was adopted. You know the maps that I provided  
8 plus, you know, evidence that has occurred in another  
9 jurisdiction is providing that the economics are the  
10 same catastrophic effect would be likely to occur in  
11 Vermont. Mandatory setbacks again are just  
12 unnecessary. If a turbine can't meet a sound limit,  
13 then it should either be located farther away or not  
14 at that site, and your sound limit will take care of  
15 that for you.

16 It's also important that -- to  
17 recognize that when we are, you know, talking about  
18 public health and talking about decibel levels -- did  
19 you have a question?

20 MS. CHENEY: Just your time limit is  
21 up.

22 CHAIRMAN VOLZ: No, not yet. She  
23 started at 11:03. Got three more minutes.

24 MS. CAMPBELL ANDERSON: Two or three  
25 more minutes. Let me wrap it up. Thank you.

1 MS. CHENEY: Sorry. I'm just passing  
2 it on.

3 CHAIRMAN VOLZ: It's all right.

4 MS. CAMPBELL ANDERSON: So we will also  
5 submit this for the record. But a 35 decibel limit  
6 is, you know, approximately like 10 times the level  
7 of a 45 decibel limit, so it's a significant  
8 difference. Across the board a 35 decibel limit  
9 singles out renewable energy for far greater  
10 restrictions than other commercial and industrial  
11 activities and is out of step with site-specific  
12 inquiry that's required even under Act 250 case law.

13 So let me skip over some things. Most  
14 importantly for the record I just want to state that  
15 Vermont's proposed wind standards are unprecedented  
16 and not grounded in peer-reviewed science setting an  
17 impractical and lower sound level than any other  
18 state and Canada. So we will -- related to the  
19 public studies you can see are on the next chart here  
20 quotes. Some of these have previously been submitted  
21 in the record, but we will note them again in our  
22 written comments. More than 487 gigawatts of wind  
23 has been installed all across the world. So it's  
24 important to recognize that for at least the last  
25 decade the scientific consensus studies, literature

1 have consistently shown that sound levels of 45 dBA  
2 have no discernible effect on human health. These  
3 facts have been confirmed by the Vermont's Department  
4 of Health to the Board as well as the Vermont  
5 Department of Public Service and the independent  
6 consultants that they hired that you heard from  
7 earlier in the proceedings.

8 So let me move on from that. To sum up  
9 economic impacts, it's important to note there are  
10 328 local workers in Vermont employed in the wind  
11 electricity generation sector of our economy. The  
12 existing wind that is installed in Vermont directly  
13 contributes more than 2.25 million state and local  
14 taxes annually. And that is just from the projects.  
15 That does not include other economic factors such as  
16 those wages, et cetera, that's just what those  
17 projects pay directly every year to the state and  
18 towns. Between the 10 times setback and the 35 dBA  
19 sound limit, none of Vermont's existing community or  
20 utility-scale projects would have been constructed or  
21 could be built under this proposed rule.

22 Based on the tax contributions of the  
23 existing wind projects in Vermont, we did some  
24 analysis comparing to the capacity of generation that  
25 the state has based on wind resources and are

1 estimating that the rule will result in a loss of at  
2 least probably more than 4 million dollars annually  
3 in state and local tax revenues directly from  
4 foregone wind energy generation projects, adding up  
5 to over 100 million dollars over a 25-year life of a  
6 project.

7 And again that does not include any  
8 ancillary project economic impacts. That is  
9 literally just direct payments to the government,  
10 state and local government from the projects  
11 themselves.

12 So to wrap up, in conclusion, the  
13 proposed rule imposes significantly lower levels than  
14 are required by majority of other jurisdictions, well  
15 below levels that are needed to protect public  
16 health. As comments you have received and peer-  
17 reviewed literature states, we would respectfully  
18 request that the Board reconsider the sound level  
19 given these facts and literature concerning  
20 aesthetics and annoyance.

21 So thank you very much for your  
22 patience and your time. We will submit more detailed  
23 written comments. Hopefully the legislature will  
24 wrap up soon, and I will have more time.

25 CHAIRMAN VOLZ: Okay, good. Do you

1 have questions?

2 MS. CHENEY: I have a question. So you  
3 refer to the draft rule as 35 and you modeled your  
4 mapping on the 35 decibel level. Did you consider  
5 the daytime 42, nighttime 35 which is the -- the  
6 draft rule -- was that double noise sound level --  
7 you just referred to 35. So what about 42/35?

8 MS. CAMPBELL ANDERSON: So when you're  
9 developing a project it has to be designed based on  
10 the lowest standard. So and that's how the economics  
11 are modeled. I think your question though is related  
12 to the setbacks and the maps.

13 MS. CHENEY: No, no. The fact that our  
14 draft rule has a 42 decibel along with a 35. So but  
15 you simplified it to 35, and I was wondering why and  
16 whether you considered the 42/35 which the draft rule  
17 actually --

18 MS. CAMPBELL ANDERSON: Yeah. Because  
19 none of the existing projects can meet 35. It's also  
20 technologically -- you can't have that level of  
21 difference -- in these turbines, you cannot go to NRO  
22 at that sweeping of a difference in decibel levels.  
23 It's not possible. So you will have to turn them off  
24 at night. They can't -- the NRO cannot operate in  
25 that level of difference in decibel limits.



1 CHAIRMAN VOLZ: For the record could  
2 you say what NRO stands for? Noise reduction  
3 operation or something?

4 MR. DUNCAN: Noise reduced operations.

5 MS. CAMPBELL ANDERSON: Thank you.

6 CHAIRMAN VOLZ: Okay. You're saying if  
7 you build a project that could produce 42 -- was big  
8 enough project that its noise level during the day  
9 was 42 when it was operating at full capacity, it's  
10 not possible to dial that back to 35 at night?

11 MS. CAMPBELL ANDERSON: No.

12 CHAIRMAN VOLZ: Because that's too big  
13 a difference.

14 MS. CAMPBELL ANDERSON: Yeah.

15 CHAIRMAN VOLZ: So people wouldn't --  
16 with a 35 nighttime standard even with a 42 daytime  
17 standard, the project developers would not build to  
18 42, they would effectively build to 35 is what you're  
19 saying.

20 MS. CAMPBELL ANDERSON: Yes, yes.

21 CHAIRMAN VOLZ: I just wanted to make  
22 sure I understand.

23 MS. CHENEY: Also she is saying the  
24 differential is too wide too, is that what you're  
25 saying?

1 MS. CAMPBELL ANDERSON: Yes. There may  
2 be others in the room that can explain that better  
3 than I. But the machines cannot --

4 CHAIRMAN VOLZ: How much of a reduction  
5 can you get in NRO mode?

6 MS. CAMPBELL ANDERSON: Typically it's  
7 three to four. I believe there is only one turbine  
8 on the market --

9 MR. DUNCAN: I'll be presenting on this  
10 topic during my presentation --

11 CHAIRMAN VOLZ: Great.

12 MR. DUNCAN: -- in detail.

13 MS. CAMPBELL ANDERSON: Let someone  
14 else who can fully answer those questions well.

15 MR. COTTER: I have one. When you did  
16 your mapping based on the decibel levels, I'm not  
17 going to talk about the setback, you must have had  
18 some sort of assumption about the sound power level  
19 of a project in order to determine how far out the  
20 sound was going to go and at what level. What was  
21 your assumption for that?

22 MS. CAMPBELL ANDERSON: I'm not sure  
23 that I fully understand the question. But in the  
24 modeling that's done, you insert in the sound level  
25 that you need to meet, and then it extrapolates a

1 distance as an estimate.

2 MR. COTTER: I understand that. But  
3 you have to have an input for how loud, what's the  
4 sound power of a project. I mean let's say --

5 MS. CAMPBELL ANDERSON: At the --

6 MR. COTTER: -- one project was twice  
7 as loud as another. Some projects are louder than  
8 others. Different turbine models, different turbine  
9 sizes. I'm wondering did you pick a worst case  
10 scenario from the sound power level when you did  
11 this, or did you pick a moderate case or a best case?

12 MS. CAMPBELL ANDERSON: It may be that  
13 --

14 MR. DUNCAN: Yeah. So the REV had  
15 assistance developing these maps from VERA. And VERA  
16 had asked us to estimate what the setback is to get  
17 back to 45 and to get back to 35 decibels at the  
18 existing projects in the state. So that setback that  
19 was used for 45 and 35, provided VERA used those  
20 numbers that we provided to them, is based off of the  
21 existing projects in the state, the average distance  
22 to get up to 45 and 35.

23 MR. COTTER: I guess I'm still trying  
24 to understand it a little bit better. Because for  
25 instance, we have Georgia Mountain and we have

1 Lowell. And they are, you know, Lowell is a  
2 significantly larger project than Georgia Mountain.  
3 Would they -- generally you would have the same sound  
4 power input for each of those projects? I just don't  
5 know. That's why I'm asking.

6 MR. DUNCAN: Yeah. It depends on  
7 whatever the sound power of the turbine that's being  
8 used in that project is. And so to calculate the  
9 setbacks that were, I believe, used in this mapping,  
10 we have the noise maps from all the projects in the  
11 state. And then we can literally measure how far  
12 does it take to get out for each project to 45 or 35.  
13 That number is going to vary a little bit based on  
14 the difference in sound powers between the projects,  
15 but the average of existing projects across the state  
16 are the setbacks that are used in the maps, I  
17 believe.

18 CHAIRMAN VOLZ: But doing the  
19 calculation you used the actual power levels from  
20 each project?

21 MR. DUNCAN: Yes. The sound power  
22 levels from each turbine that was used in each  
23 project.

24 MR. COTTER: I'm sorry if I'm just  
25 being a little dense here. But I could see that if

1 you wanted to look at a specific project and say,  
2 okay, here's the setback at 45, here's the setback at  
3 35 that would end up being required for that project.  
4 But my understanding of this map is it's not project  
5 specific. It's looking at all areas in the state  
6 that are potentially, you know, have a valuable wind  
7 resource. And so you don't have a specific project  
8 to plug in to get to do this map over the entire  
9 state.

10 MR. DUNCAN: That's correct. It's  
11 using essentially an average sound power from all the  
12 wind turbines that are used in the state, yes.

13 MR. COTTER: Bingo. That's what I  
14 wanted to know. Thank you.

15 MS. CAMPBELL ANDERSON: We can specify  
16 that in a little more detail in our written comments.

17 CHAIRMAN VOLZ: Okay. That would be  
18 helpful. Thanks. In other words, you'll describe  
19 the assumptions that were used to develop the map.

20 MS. CAMPBELL ANDERSON: I'm sorry?

21 CHAIRMAN VOLZ: You'll provide us the  
22 assumption that you use to develop the map and run  
23 the program?

24 MS. CAMPBELL ANDERSON: Yes.

25 MR. KNAUER: I have a question. The

1 small wind independent certifications slide. For the  
2 record can you -- there are a couple of acronyms;  
3 SWCC and AWEA. Can you --

4 MS. CAMPBELL ANDERSON: Yes. So this  
5 is the national independent certification, it's the  
6 Small Wind Council. I can provide you with their  
7 website so that you can see. They are essentially --  
8 think of they are where you go to get your  
9 certifications for small wind turbines in the United  
10 States. Think of it like a third-party organic  
11 independent verifier for food. If that is too of a  
12 layman analogy. But it's providing independent  
13 verification that this turbine is going to meet that  
14 sound standard.

15 MR. KNAUER: Okay. And AWEA is?

16 MS. CAMPBELL ANDERSON: That's AWEA.  
17 So that's based on the -- I'm sorry, the American  
18 Wind Energy Association standards, and perhaps I  
19 could get some -- further explain that and link to  
20 their website to get the details. But they use, you  
21 know, specific criteria that you have to meet as what  
22 does peak, you know, peak output mean, you know,  
23 those definitions. So that everyone is judged under  
24 the same criteria.

25 MR. KNAUER: Okay. So I assume under

1 the column the rated sound level, the -- whatever the  
2 standard is specifies the distance that that sound  
3 level is measured at? Is that true?

4 MR. DAY: 200 feet or 60 meters is what  
5 it's measured at, at five meters per second average.

6 MR. KNAUER: Wind speed?

7 MR. DAY: That's the standard. It's on  
8 their website.

9 CHAIRMAN VOLZ: Can you identify  
10 yourself please?

11 MR. DAY: Sorry. I'm Jason Day, Star  
12 Wind Turbines.

13 CHAIRMAN VOLZ: Thank you.

14 MR. KNAUER: And there are a number of  
15 what look to be footnotes on here, but they didn't  
16 show up on your chart.

17 MS. CAMPBELL ANDERSON: Yeah. I think  
18 those footnotes are -- I will provide that in our  
19 comments. It's literally explaining what each of  
20 those means, those categories.

21 MR. KNAUER: That would be helpful.

22 MS. CAMPBELL ANDERSON: Sorry. It's  
23 also directly on their website which we will provide  
24 to you.

25 CHAIRMAN VOLZ: Great.

1 MR. KNAUER: And you made a statement  
2 that 42 decibels cannot be achieved by any small wind  
3 turbines.

4 MS. CAMPBELL ANDERSON: No. I said 35.

5 MR. KNAUER: Okay.

6 MS. CAMPBELL ANDERSON: Smaller wind  
7 turbines most of them don't have the more  
8 sophisticated NRO management systems available to  
9 them, that when you compare to what's the technology  
10 that's available for large turbines.

11 MR. KNAUER: One last question. In  
12 preparing the various maps that you presented with  
13 the layers, I'm assuming there is not a layer that  
14 looks at whether the residents are participating or  
15 not participating in the project.

16 Did you give any consideration to the  
17 fact that the proposed rule applies at non-  
18 participating residents?

19 MS. CAMPBELL ANDERSON: I didn't really  
20 think that would be relatable because we are talking  
21 when you say not participating, could you further  
22 explain when you say not participating? Because for  
23 this scale of wind project it's not going to be  
24 someone who is engaged in the ownership or of the  
25 site.



1 MR. KNAUER: Right. Yeah. The rule.

2 MS. CAMPBELL ANDERSON: You're also  
3 saying like if they had a lease or something?

4 MR. KNAUER: Well the rule has --

5 MS. CAMPBELL ANDERSON: I just didn't  
6 have it right in front of me.

7 MR. KNAUER: The rule has a definition  
8 of what a participating landowner is. And so the  
9 setbacks and the decibel limits apply to the homes of  
10 non-participating landowners. So that was the basis  
11 of my question.

12 MS. CAMPBELL ANDERSON: Okay.

13 CHAIRMAN VOLZ: Non participating is  
14 someone who doesn't have any affiliation or  
15 association with the wind turbine developer.

16 MS. CAMPBELL ANDERSON: Yes, correct.  
17 So that would be the case for almost all of the  
18 projects that have been installed to date. With the  
19 exception perhaps typically of one home on the site.

20 MR. FINK: So just to clarify the  
21 discussion, I think it might be helpful to actually  
22 state the definition in the rule for folks. Is that  
23 a participating landowner is defined as a landowner  
24 who has signed a written agreement with the  
25 Petitioner stating that the sound emission standards

1 established by this rule do not apply to the  
2 landowner's property.

3 CHAIRMAN VOLZ: That's participating.

4 MR. FINK: Right. So a non-  
5 participating landowner is someone who isn't a  
6 participating landowner.

7 MS. CAMPBELL ANDERSON: Right. There  
8 is no way for us to know if someone would be signing  
9 an agreement. So we can't assume, you know. We  
10 can't assume -- make assumptions about that.

11 MR. LANG: Dustin Lang. May I make a  
12 suggestion for an example that may clarify this? If  
13 a homeowner's association with nine homeowners wanted  
14 to put up a small turbine, they would be  
15 participants. That way your range would be increased  
16 because it wouldn't be one of the homeowners in the  
17 subdivision putting up the turbine and affecting the  
18 non-participating neighbors. Isn't that how --

19 MS. CAMPBELL ANDERSON: Yes. I  
20 understand it's not what has occurred in these size  
21 projects.

22 MS. CHENEY: I had another question.  
23 In the beginning of your presentation you talked  
24 about different categories and therefore different  
25 standards depending on the size of the wind project.

1 MS. CAMPBELL ANDERSON: Yes.

2 MS. CHENEY: Are you suggesting more  
3 than one category for what we might think of as small  
4 wind? So in other words, small, medium and large?  
5 Or --

6 MS. CAMPBELL ANDERSON: Yes.

7 MS. CHENEY: And could you be more  
8 specific about your recommendation as to size and  
9 also -- yeah. What would be small, medium and large,  
10 and I'm assuming there would be different standards  
11 in your recommendation for each category.

12 MS. CAMPBELL ANDERSON: Yes. So for  
13 the small turbines which I was talking about, you  
14 know, looking at something that's a scale of what  
15 would power a home, what would power a farm, or a  
16 small business, and also looking at that scale of  
17 turbine that is currently on the market and what  
18 their different power levels. So that's why I  
19 provided the list that you can see the range.

20 MS. CHENEY: And is this range in your  
21 -- the way you're describing --

22 MS. CAMPBELL ANDERSON: Yes.

23 MS. CHENEY: -- small or medium?

24 MS. CAMPBELL ANDERSON: This is small.

25 MS. CHENEY: Okay. And then what would

1 medium be?

2 MS. CAMPBELL ANDERSON: So medium it  
3 would be sized above that. So --

4 CHAIRMAN VOLZ: Up to?

5 MS. HOFMANN: How do you describe the  
6 large? You have three.

7 MS. CAMPBELL ANDERSON: Well probably  
8 above 500 kilowatts or more. I mean most large  
9 turbines are 1.2 megawatts and larger.

10 CHAIRMAN VOLZ: So medium would be  
11 above small and up to large.

12 MS. CAMPBELL ANDERSON: Yes.

13 CHAIRMAN VOLZ: Okay. So if you want  
14 to put that in your written comments, a suggestion  
15 for what that would be.

16 MS. CAMPBELL ANDERSON: Okay. Thank  
17 you.

18 CHAIRMAN VOLZ: Other questions?

19 MS. HOFMANN: I have one last one,  
20 which is do you have a recommendation from REV as to  
21 what the -- should there be a range? Right now we  
22 are at 35/42. And if so, what would that range be or  
23 what number would you be falling upon?

24 MS. CAMPBELL ANDERSON: What's -- I  
25 think to -- it's important to note that looking at

1 all the scientific evidence REV's position is that we  
2 feel that 45 dBA is acceptable to protect both for  
3 public health and for aesthetics or annoyance based  
4 on the studies that are available and peer reviewed.

5 CHAIRMAN VOLZ: And based on your  
6 earlier comments, I take it you don't think there  
7 should be a range, just should be the one number.  
8 Daytime versus nighttime, in other words.

9 MS. CAMPBELL ANDERSON: Yes, at this  
10 time.

11 CHAIRMAN VOLZ: Okay. All right.

12 MS. CAMPBELL ANDERSON: Our members are  
13 still --

14 CHAIRMAN VOLZ: Didn't mean to put you  
15 on the spot.

16 MS. CAMPBELL ANDERSON: That's  
17 certainly fine and completely appropriate. Our  
18 members are discussing this as you can imagine  
19 extensively.

20 CHAIRMAN VOLZ: If you're not sure  
21 about that, then you can say that.

22 MS. CAMPBELL ANDERSON: Yeah.

23 MR. FINK: If I can take you back to  
24 your chart of small wind turbines, and I understand  
25 what your recommendation was, essentially that

1 turbines with the capacity of less than a certain  
2 rated output would be exempt from the requirements or  
3 the rule. Did I more or less --

4 MS. CAMPBELL ANDERSON: Not completely  
5 exempt.

6 MR. FINK: But would have some sort of  
7 alternative.

8 MS. CAMPBELL ANDERSON: Yeah. So we  
9 would recommend they would be appropriate. I'm  
10 sorry, Kevin. I didn't mean to interrupt you.

11 MR. FINK: Go ahead. I think I got the  
12 gist of the question.

13 MS. CAMPBELL ANDERSON: Yes. For the  
14 small wind turbines, you know, to look at something  
15 between, you know, 25 kilowatts or 33 kilowatts, I  
16 also looked at all of the CPGs that the Board has  
17 issued to date for small wind. And there was almost  
18 all of them were 25 and under. There was, I think,  
19 one that was 33. So that's why I was like well maybe  
20 33, you know, in being -- looking at these data. But  
21 that's kind of around the size. And you know, 45  
22 certainly would be appropriate as meeting the sound  
23 limit. And then you have, you know, you can require  
24 the independent certification for that sound level.

25 MR. FINK: And perhaps -- not sure I

1 understand what you're proposing then, because you're  
2 proposing a different sound limit at a neighboring  
3 residence?

4 MS. CAMPBELL ANDERSON: No. The  
5 general framework.

6 MR. FINK: You're proposing a different  
7 --

8 MS. CAMPBELL ANDERSON: We would not  
9 propose setbacks. So the framework for -- that the  
10 Board has for, I believe you're at a hundred feet  
11 from the residence at 45 through the current  
12 definitions, unless you're participating on your own  
13 property. And I think you -- perhaps when you hear  
14 from Star Wind Turbines they could also better  
15 address that in detail.

16 MR. FINK: And part of what I'm trying  
17 to understand is that framework would appear to  
18 require some sort of modeling and monitoring to  
19 confirm that a turbine would meet those -- you know,  
20 that the sound output from the turbine at a  
21 neighboring residence would be less than 45 or  
22 something to that effect, which would strike me as  
23 posing a potentially significant additional cost.

24 MS. CAMPBELL ANDERSON: Yeah, no. I'm  
25 not recommending that. Yes. Specifically they

1 should not be required to do the modeling and  
2 monitoring, because there have been no complaints to  
3 our knowledge for those small projects. And they are  
4 independently certified. So if they have the  
5 independent certification by third party saying this  
6 is what my turbine manufacturer says, that you could  
7 rely upon that, if there were a complaint, but there  
8 has never been a complaint for a project that size in  
9 the state. And 155 of them are installed to my  
10 knowledge. When they are, you know, operating  
11 properly. Sometimes there is some hiccups when it  
12 first gets installed but after it's installed and --

13 MR. FINK: So correct me if I am wrong,  
14 and I think you may be hitting on an alternative I  
15 wanted to explore with you. When -- your reiterated  
16 sound level here, that's effectively the rated sound  
17 power output of the turbine. I believe the gentleman  
18 from RSG said it's measured at 60 meters per second.  
19 Am I understanding that correctly?

20 MR. DAY: AWEA -- the certification  
21 document it's called AWEA 9.1. And the sound rated  
22 is -- everyone's measured and judged at the 60 meter  
23 or 200-foot mark at a five meter per second, that's  
24 considered 11.2 miles per hour if you want to put it  
25 that way. And then they measure it in dBA. They



1 don't measure octaves or tones or other spikes.

2 MR. FINK: And so that's an attempt to  
3 capture the sound power output from that turbine;  
4 correct?

5 MR. DAY: That's basically 95 percent  
6 of what you're going to get out of that turbine. And  
7 you know, the maximum levels are higher, but we are  
8 going to go over in our presentation is what the  
9 actual percentage of the maximum sound levels are in  
10 these turbines.

11 MR. FINK: Okay. So what I'm getting  
12 at, and what I'm trying to understand is obviously  
13 the, you know, if that's at 200 feet, a residence  
14 that is further away is going to have a lower sound  
15 level due to attenuation.

16 MR. DAY: Yeah.

17 MR. FINK: And so one possibility I  
18 think it may -- I wanted to just broach for you to  
19 consider thinking about -- is whether instead of  
20 having an exemption that is based on the capacity of  
21 the turbine, because when I look at this chart, there  
22 is not a particularly strong relationship between  
23 capacity and the rated sound power output. I mean  
24 the third lowest capacity turbine is six decibels  
25 louder than the highest capacity turbine on this

1 chart.

2 MS. CAMPBELL-ANDERSON: It's a good  
3 range.

4 MR. FINK: Would it make sense to  
5 instead structure some sort of exemption or  
6 alternative treatment based upon the sound power  
7 output of the installed turbine? Is essentially --

8 CHAIRMAN VOLZ: The certified sound  
9 power output.

10 MR. FINK: Correct. The rated sound  
11 power output. And that's something you can address.

12 MS. CAMPBELL ANDERSON: Okay.

13 MR. FINK: But I would be interested to  
14 understand what you think of that approach.

15 MS. CAMPBELL ANDERSON: Okay. Thank  
16 you.

17 CHAIRMAN VOLZ: For the smaller  
18 turbines you're talking about?

19 MR. FINK: Correct.

20 MR. BLOMBERG: Just to clarify, I think  
21 you guys are talking about sound pressure and not  
22 sound power. I don't think these numbers are sound  
23 power.

24 DR. QUIN: That's sound pressure up  
25 there.

1 MR. FINK: Thank you, Mr. Blomberg, for  
2 the clarification. I believe you're correct. To the  
3 extent I know what I'm talking about.

4 MR. BLOMBERG: It's important because  
5 it's measured at a distance as opposed to -- okay.

6 CHAIRMAN VOLZ: Okay. Do we have any  
7 other questions? Okay. Other questions? We are  
8 getting short on time. Yes, sir. In the back.

9 MR. PIERCE: Greg Pierce, private  
10 citizen. Just like to make an observation about  
11 setback distance. There is a precedence for greater  
12 than 10 times turbine height. Freedom, Maine has an  
13 ordinance that specifies 13 times turbine height as a  
14 setback distance; mandatory.

15 CHAIRMAN VOLZ: Okay. Thank you. Ms.  
16 Smith?

17 MS. SMITH: Annette Smith, Vermonters  
18 for a Clean Environment. A few comments. There has  
19 been one CPG revoked on a small wind turbine over  
20 noise in Shrewsbury. It was done voluntarily with  
21 the neighbors and landowners, but we have received a  
22 lot of complaints frankly about small turbines. I  
23 suggested a property line setback is more  
24 appropriate. Also I think the Board is aware of the  
25 problems with the NPS 100 in Vergennes. And that is

1 960 feet away from a home. And so I think it's about  
2 125 foot or 150 foot tall. So keep that in mind.

3 Again, these noise levels can go out  
4 quite a ways, and the one suicide that Mr. Ambrose  
5 mentioned was over an NPS 100.

6 I'm glad you brought up the opportunity  
7 for waivers. If these projects were done with the  
8 setback, then there would be the opportunity for  
9 better community engagement by getting waivers from  
10 people to sign in. I don't see that that is an  
11 issue. I think that we are -- we need to move in  
12 that direction. Regarding the Bavarian decision, it  
13 was litigated over the 10 times total setback, and I  
14 recommend that you read the decision. There is a  
15 translation you can get of it, and it talks about how  
16 the argument was made this is a ban on wind, and the  
17 court did not buy it. And Bavarian constitutional  
18 court, and they said that it just means they may have  
19 to use smaller turbines.

20 I think that she's made an excellent  
21 case for the big turbines not being appropriate for  
22 Vermont's terrain and topography, but this was  
23 litigated very well. I'm aware that there are at  
24 least four sites in Germany that curtail at night in  
25 order to meet the 35 dBA. It is not a constraint

1 that has stopped wind development in Germany. As far  
2 as our state's goals, wind is not being used to meet  
3 our state's goals now. None of these wind projects  
4 are counted towards the renewable energy standard,  
5 and none will be based on the way the legislation has  
6 been written because all the wind and solar RECs are  
7 being sold out of state. They are meeting  
8 Connecticut's and Massachusetts' RPS but not  
9 Vermont's.

10 And she made a good case about how much  
11 money is being made. And I think that also makes a  
12 point that these wind operations can be better  
13 neighbors and do continuous sound monitoring, and do  
14 better to compensate people who have to leave their  
15 homes. And acknowledge that there are issues and,  
16 you know, there is plenty of money being made, but  
17 it's not being shared in our communities in a way  
18 that's helping us meet our renewable energy. Thank  
19 you.

20 CHAIRMAN VOLZ: Okay. Questions? Any  
21 other questions? Because we are running late. So --  
22 need to go to Star Wind Turbines.

23 MS. CAMPBELL ANDERSON: I do want to  
24 make a quick point related to the renewable energy  
25 standard in Vermont that RECs are sold as on an

1 annual basis, because they are created, so it's not  
2 appropriate to make assumptions that the existing or  
3 future projects are not helping to meet the state's  
4 goals or won't be as the RES --

5 CHAIRMAN VOLZ: We need to move now to  
6 the next people. Thank you.

7 MR. DAY: We have lost our battery. We  
8 have a technical problem. In the meantime I can  
9 talk.

10 CHAIRMAN VOLZ: That would be great.

11 MR. DAY: I can give you some handouts.  
12 Maybe you can add to our time or give us something  
13 after lunch or something.

14 CHAIRMAN VOLZ: We will see what we can  
15 do.

16 MR. DAY: Dr. Quin didn't -- I think I  
17 have enough to share. I'm not sure you're going to  
18 be able to read everything up there. So I would just  
19 like to talk about -- I would like to talk about the  
20 certification agencies that are out there already  
21 established in the industry. They have already  
22 established pretty much the definitions of large,  
23 small, and medium-sized wind turbines. If you go by  
24 what Inner Tech and SWCC are certifying, these are  
25 the organizations that are sponsored and funded by

1 NREL to come up with a third-party certification and  
2 testing mechanism.

3 So AWEA 9.1 is the specification  
4 defined -- to define and test small wind turbines.  
5 And under their -- you can look it up on the SWC  
6 website, SWCC website, it's defined as a turbine  
7 under 50 kilowatts, under 200 square meters which is  
8 basically a 52-foot diameter, and that's kind of  
9 where they draw the line. And they had to come up  
10 with, before 2014, they just had one specification,  
11 IEC 61400 which basically everything was large  
12 turbines above that. Since then, they have seen the  
13 void, and they have come up with another category  
14 called medium wind which is defined as 200 square  
15 meters to 1,000 square meters. And it's defined as  
16 the power levels -- they don't define the power level  
17 on it. So it's kind of a blurry area, but they say  
18 that to go from a medium turbine to a large turbine  
19 they really consider the criteria of whether you go  
20 -- have to go inside the nacelle in order to service  
21 it. If you service it from outside the nacelle, they  
22 say that's medium. Today that's what the dividing  
23 line is.

24 Vermont has defined small wind turbines  
25 in many different ways. There is a hundred kilowatts

1 and below is in the standard-offer program. You  
2 defined in other things like the net metering program  
3 150 kilowatts, under 150 feet. So you have other  
4 different categories of your net metering rule dot 5.  
5 100 which has another category for 50 kilowatts and  
6 below. Then you have another area that's 15  
7 kilowatts and below.

8 So all of these things are, you know,  
9 everybody has a different definition of small and  
10 medium. Okay, so it looks like we are --

11 DR. QUIN: I'm ready to begin your  
12 presentation. I appreciate her helping me out with  
13 the Internet.

14 We would like to discuss the issue of  
15 change in the state wind turbine noise regulations  
16 with all wind turbines. This was something I looked  
17 at in Massachusetts while I was at DEP. We looked at  
18 wind turbine regulations quite extensively there.  
19 It's a complex process involving multiple  
20 stakeholders. I think everybody here agrees there is  
21 a lot of things going on here.

22 I think there is a lot of agreement  
23 existing standard of 42 is too high. Proposed is 42  
24 decibels for day, 35 night. These levels as far as I  
25 can tell would be about the most conservative in New



1 England, and as I stated earlier, that would only be  
2 exceeded by a few locations in Massachusetts -- where  
3 I can't even think of anything much lower than that.  
4 So this would be the most conservative levels in all  
5 New England, much lower than Maine and New Hampshire  
6 levels.

7 Measure criteria we specified which we  
8 agreed from DEP is important to understand because  
9 there are issues with the criteria not being  
10 specified in advance, and people found out the  
11 measurement criteria were different than what they  
12 modeled, which was a significant issue in  
13 Massachusetts.

14 But the most important thing we want to  
15 point out here is that the levels proposed are the  
16 same for large and small turbines. And we want to in  
17 this presentation show that this is -- we do not  
18 believe this to be appropriate for a very lengthy  
19 list of reasons. I started this -- a lot of the  
20 issues of wind permitting when I was at DEP in 2012,  
21 2013. At that time there were a number of projects  
22 coming online in Massachusetts. There were  
23 considerable issues with compliance enforcement, a  
24 number of problem projects, especially ones with the  
25 coast had come on, and at the time DEP did not have

1 much understanding with wind turbine acoustics. It's  
2 something I worked in for nearly a decade with a  
3 number of projects with developers. So DEP; I know a  
4 pretty fair amount about it.

5 At the time there were a number of  
6 complaints in Massachusetts, but not all projects had  
7 complaints. The majority of the projects were  
8 actually well received. It was maybe about I would  
9 say a third to a quarter of them had significant  
10 noise complaint issues. But more importantly, what  
11 we found is that most of the complaints were near the  
12 larger turbines. We did not have complaints for  
13 small turbines. And this echoes what she said  
14 earlier about the situation in Vermont where there  
15 are no complaints about small wind turbines. That's  
16 exactly what we had in Massachusetts. We did not  
17 have any complaints near turbines less than 1.5  
18 megawatts. All the complaints were in larger  
19 turbines. Small wind was not an area where we had  
20 any significant issues. And the reasons why this is  
21 true, a number of them, first we studied -- if you  
22 look at the studies, there is -- a problem with small  
23 wind turbines is there isn't that much data available  
24 about the dose response.

25 The larger turbines is the Pedersen

1           Waye papers, of course, well known. And usually  
2           these papers are written about turbines which are at  
3           least 500 kilowatts. So in fact the smaller turbines  
4           that we are discussing here there is very little  
5           usable data about dose response. In fact, if anybody  
6           has them, I would be glad to look at it. I was not  
7           -- Greg Gocci and I were not able to locate accurate  
8           papers showing exactly how the small wind dose  
9           response occurred. It was a problem -- was simply  
10          not considered important enough for anybody to spend  
11          the time and money studying it. So I was not able to  
12          locate accurate dose response papers for turbines  
13          under 100 kilowatts.

14                        And one of the other issues are dose  
15          response, which is true for larger turbines, and I  
16          think you who have read the Pedersen Waye papers know  
17          this, is when people are looking at turbines, there  
18          is a tendency with large turbines to use sound as a  
19          pretext for other issues. And this is especially  
20          true in places like rural Massachusetts and Vermont  
21          where people don't want to look at them, and they use  
22          sound as a pretext for visual issues. They didn't  
23          like the way the permitting process was done. They  
24          didn't get a good deal, or the town didn't get paid  
25          enough. People have a tendency with larger turbines

1 to be annoyed by sound for other reasons. In other  
2 words, they don't like them. They are predisposed  
3 against them for other reasons. They turn the  
4 turbines on and say, oh see, I'm annoyed.

5 That does not generally occur with  
6 small turbines. Small turbines simply don't have the  
7 other factors involved; visuals, you know, permitting  
8 issues, to which all would naturally be predisposed  
9 against them.

10 Now another significant issue is small  
11 versus large turbines, is the issue of in terms of  
12 where you put the turbine. If we are putting a small  
13 wind turbine up, what you're generally going to do  
14 you put it in a farm or residential area. What does  
15 that mean? It means you're putting it up in  
16 relatively flat ground. Most farms are flat. You  
17 don't have a farm on top of a mountain. You have a  
18 farm that's flat where you can farm. That's where  
19 you're going to put your turbine up. What does that  
20 actually mean in terms of noise background? It means  
21 when you have a small wind turbine that's been put  
22 up, and you have residents nearby, you're hearing  
23 wind -- the wind is blowing at the turbine, but you  
24 also have wind blowing at the residence. So when you  
25 power a small turbine up, you usually have --

1 typically have higher wind noise background. So as  
2 Steve pointed out in his presentation, the background  
3 makes a significant difference in the way people  
4 perceive it. The small wind turbines if they are on  
5 flat sites and people are nearby, you have a  
6 significant amount of masking background during  
7 operational conditions.

8 Now the larger turbines -- this is a  
9 picture of Sheffield. Take a look at what you've got  
10 up there. Turbines up on the top of the ridge;  
11 right? You've got the residences, as you can see  
12 some farms down below. What happens under  
13 operational conditions? Well if the wind's blowing  
14 from -- if it's on the lee side of the mountain, you  
15 can have a situation where the wind is blowing 15 to  
16 20 miles an hour or more at the top of the hill, but  
17 there is little or no wind at the bottom of the hill.  
18 What happens then, you don't get masking background.  
19 And this happened in Massachusetts a couple of  
20 locations in the Berkshires. We went out and  
21 measured the wind, you know, the turbines were  
22 produced -- cranking way at the top. There was  
23 almost no masking background down below at all.

24 So point of it all is the masking  
25 background issue with small turbines and large

1 turbines is significantly different. Usually with  
2 small turbines you usually have masking background of  
3 some types because wind is blowing at the turbine,  
4 blowing at the residence too, but it's not always the  
5 case with large turbines. In fact, levels I measured  
6 at a farm in Vermont. There is my microphone out  
7 there by my car. In the winter. You can't really  
8 read that. But if you could, it would say that the  
9 levels were -- I had background levels of 35 to 40  
10 decibels in the winter from the wind blowing. And  
11 that's comparable to the levels you're going to hear  
12 from a turbine at say 600 feet.

13 So the point of all this masking  
14 background for wind turbines, for small wind  
15 turbines, is clearly significantly higher. It's  
16 almost always a significant amount when the wind  
17 turbine is blowing; when the wind's blowing.

18 Another difference between small  
19 turbines and large turbines is the issue of amplitude  
20 modulation. This is one that's Steve brought up.  
21 And it was -- at DEP we found this to be a very  
22 important matter, is that this is a consistent  
23 problem near the larger turbines. It's more  
24 prevalent at the side wind, if you got the four  
25 decibels of peak energy, even more.

1                   Here's the picture of amplitude  
2 modulation with large wind turbine, and you can see  
3 that the turbine going up and down; whoosh, whoosh,  
4 whoosh is a significantly -- it's significantly  
5 noticeable. With a small wind turbine you have much  
6 lower levels of amplitude modulation. The blades are  
7 spinning a lot faster; swish, swish, swish. So the  
8 amplitude modulation is significantly less, and the  
9 frequency of the amplitude modulation, the blade  
10 passage frequency, is typically significantly much  
11 higher. In fact, some of the very small wind  
12 turbines spin so loud they have almost no amplitude  
13 modulation at all. Some of the larger ones, 1,500  
14 kilowatt, there is some of those, shw, shw, shw. So  
15 it does go up and down some, but significantly less  
16 than what you get with the large turbines. So the  
17 actual perceived noise goes down significantly with  
18 smaller turbines.

19                   Now a third major difference in small  
20 or large turbines is the issue of --

21                   MS. CAMPBELL ANDERSON: It should go  
22 away. You can click the little X's.

23                   DR. QUIN: Well that's -- there is  
24 issues with infrasound. It's clear -- it's become  
25 clear with large turbines. As Steve pointed out, a

1 number of people have. That infrasound production  
2 from large turbines clearly it does exist. It's  
3 clear that anecdotal evidence it could be an issue.  
4 It's agreed that infrasound cannot be detected by the  
5 ear, but it may actually be -- there are mechanisms  
6 by which it may be detectible by the inner ear.  
7 Makes you feel queasy or gives you motion sickness or  
8 what have you. And it can penetrate walls and  
9 windows in a couple of the buildings. This is what  
10 we get for large turbines. With small turbines it  
11 simply doesn't happen this way. The infrasound  
12 level, the levels, the whole frequency curve is  
13 shifted over into the higher frequencies. There is  
14 much lower levels of infrasound. There is higher --  
15 the levels are at higher frequencies is more readily  
16 blocked by the buildings.

17           And what also happens is that with  
18 small turbines a large amount of the small turbine  
19 infrasound is being masked by the wind because the  
20 wind itself creates infrasound. There is actually  
21 background from wind, so the turbine -- the  
22 infrasound from the small turbine is going to be more  
23 readily masked by the wind because you're getting  
24 continual wind masking background with small  
25 turbines.



1 I am not aware of any potential  
2 reported infrasound related effects from small  
3 turbines. It may have occurred. It's possible. I  
4 mean there is hundreds of turbines out there in the  
5 country, but I am not aware of any. Certainly if  
6 there are, it's much, much less in the case for the  
7 large wind turbines. It's not something that I found  
8 or believe to be the issue. It may -- some may have  
9 occurred, but I don't know of any.

10 Now another issue with small wind  
11 turbines is the issue of the speeds at which the  
12 turbines run, operate. The small wind turbines  
13 typically run at lower wind speeds for two reasons.  
14 First, they are closer to the ground. Secondly, they  
15 are not located on a ridge. They are located on  
16 farms, so they are not getting the high wind as you  
17 get on the ridges. So typically a small wind turbine  
18 is going to be running at five meters per second  
19 versus maybe seven to eight meters per second for  
20 larger turbines. What it means is if you're going to  
21 permit the small wind turbine that's rated power, and  
22 that occurs at 11 to 12 meters a second, you're  
23 actually under operational conditions getting much  
24 lower sound production from the turbine than you're  
25 actually permitted. So -- which means that there is

1 a significantly lower time near the permitted sound  
2 levels than for large turbines.

3 Examination of the viable curve here  
4 shows about how this would work. I don't know if you  
5 can read this too well, but what this shows is that  
6 the actual total amount of wind, it peaks around 11  
7 to 12 miles per hour. Well what's the sound level  
8 being produced at the sound power level? This is for  
9 Excel, Bergey Excel. You're getting 84 decibels of  
10 sound power production, sound power level of 84  
11 decibels at about say 12 miles per hour wind. Well  
12 the rated -- the rating power at 10 meters per  
13 second, 11 meters per second, is 94 which is 10  
14 decibels higher than under typical wind operating  
15 conditions. So if you're going to permit the  
16 turbines at their peak rated and sound power level,  
17 you're permitting a level which almost never actually  
18 occurs under operational conditions. You're  
19 permitting a level which is much, much higher than  
20 what you actually would hear under typical wind  
21 turbine operating conditions. And even under a case  
22 where the turbines were say operating at say 16 miles  
23 an hour which is getting -- which would do more --  
24 less than 90 percent of the time, you're still at  
25 seven decibels lower than what you're getting from

1 the peak -- the actual peak rated power.

2 So the point of all this is if you're  
3 going to permit small turbines at their peak rated  
4 power, that's not what you're actually hearing under  
5 most circumstances. This particular turbine the peak  
6 rated power would occur .2 percent of the time, which  
7 is less than half a day a year. So you can see then  
8 that it's important to realize you're not actually  
9 hearing the peak rated power from the turbines most  
10 of the time.

11 Getting back to the issue of annoyance.  
12 As I stated earlier, one of the problems we have had  
13 is locating quality studies of wind turbine  
14 annoyance. The most of wind turbine annoyance  
15 studies you see, the one here to the left, is when  
16 from medium to larger turbines. So it's very hard to  
17 come up with accurate levels of annoyance for small  
18 wind turbines because it hasn't been studied that  
19 carefully. And what we find is if you look at the  
20 industry standard, which is the purple one, which is  
21 shifted well to the right, what you find is small  
22 wind turbines sound -- they don't sound the same as  
23 large wind turbines obviously, but they would be  
24 shifted somewhat closer to the industry level sound  
25 noise curve which is for continuously operating

1 equipment, which is considerably higher.

2 Unfortunately, I simply don't have the data or could  
3 not locate the data to come up with an accurate curve  
4 to show exactly how much the shift is. If somebody  
5 has it, I certainly would be glad to look at it,  
6 because it certainly could be very important to have  
7 that in order to accurately establish the levels.

8 MS. CHENEY: What are the X and Y axis  
9 here?

10 DR. QUIN: One is the day/night sound  
11 in decibels. And the other is the percent highly  
12 annoyed. Percent of highly annoyed by it.

13 MR. AMBROSE: Can I interject here?

14 CHAIRMAN VOLZ: Sure.

15 MR. AMBROSE: There is a new term, it's  
16 LDN. That's a day-night weighting. And it  
17 differentiates the nighttime from the daytime by 10  
18 dB. If you were to normalize that, in other words  
19 take out the LDN and make it just a level, it would  
20 shift down six dB. Those curves.

21 CHAIRMAN VOLZ: Okay.

22 DR. QUIN: I appreciate that.

23 CHAIRMAN VOLZ: Thanks.

24 MR. AMBROSE: As a matter of fact,  
25 Pedersen Waye does track it.

1 DR. QUIN: That's right. And you know,  
2 it would be very helpful, and I think the Board -- I  
3 think it would probably -- if anybody knows of an  
4 accurate dose response curve when they go to actually  
5 make the actual regulations, getting that I think  
6 would be very important. Because we were not able to  
7 locate one we could rely on.

8 So in conclusion then, a small -- all  
9 turbine sound noise is not included in wind turbine  
10 -- in noise studies. The sound characteristics are  
11 closer to continuously operating equipment than  
12 larger turbines because they spin faster. They don't  
13 have that much amplitude modulation. They don't have  
14 the infrasound. So they are closer -- they sound  
15 closer to continuous operating equipment than larger  
16 turbines. That means that the sound curve -- the  
17 actual noise curve is going to be closer to the  
18 continuously operating equipment than -- it will  
19 shift closer to continuously operating equipment.

20 So what this means then the actual  
21 noise levels for small wind turbines are much higher  
22 than the 35 decibel proposed level. These 35 decibel  
23 levels are considered low even for large turbines,  
24 and for small turbines they are much, much too low.  
25 All right. These are -- there is no evidence

1 anywhere to support a 35 decibel limit for small wind  
2 turbines. Nothing. As far as I can tell, I haven't  
3 seen any noise studies, complaints, anything that  
4 supports that.

5           It may be some evidence here, but I  
6 have not seen it anywhere. So what does this mean in  
7 terms of turbine setback distance? Well for large  
8 turbines the new regulations would require nearly  
9 4,000 foot setbacks to meet the new standard. That's  
10 for a single 2.5. For multiple 2.5s, it would be  
11 even more, 4,500 to 5,000 for all sound. That was  
12 just for a large turbine.

13           For small turbines you would require  
14 nearly 15 hundred foot setbacks to meet the 35  
15 decibel limit. That means you have to have a farm  
16 more than half a mile square, you know, to get -- put  
17 a turbine up, that means to put it right smack in the  
18 middle of the farm, not even the highest wind point  
19 location, it would be in the middle just to meet the  
20 setback distances. This would become an effective  
21 ban on small wind turbines at small residences. 35  
22 decibel level you would not be able to put up  
23 anything. Almost nothing. There might be a few  
24 locations here and there that were very far removed,  
25 very large farm, somebody's house is in the middle of

1 nowhere. In effect, it's a ban on small wind  
2 turbines.

3 The number we came up with being  
4 conservative, which is also due to the fact we don't  
5 have the detailed information we need to establish  
6 it, would be 42. And it could go as high as 45, but  
7 we are being conservative about it. The other guys  
8 were saying 45. We would obviously agree with that.  
9 But it shouldn't be any lower than 42. 42 would be  
10 the bottom limit. That's getting at the bottom of  
11 the large turbines. In Maine -- for large turbines,  
12 so 42 decibels would still be very conservative for  
13 small turbines. And you would be practically  
14 speaking about a 600 to 700 foot setback for that.  
15 And that's still a considerable setback. That's two  
16 football fields. That's a decent size farm to get a  
17 small turbine in. 42.

18 Some of the other turbine people want  
19 to weigh in, they might want to raise it as high as  
20 45. We wouldn't object to that. 42 would be the  
21 bottom you could go to get anything built.

22 So conclusions. Proposed noise  
23 regulations are very conservative for all wind  
24 turbines. Significantly different conditions  
25 indicate that they are not appropriate for small

1 wind. The background levels are different, the sound  
2 production is different. The perception of the  
3 turbines due to the smaller size is different. The  
4 masking is different. Amplitude modulation is  
5 different. The infrasound modulation is lower.  
6 Infrasound is different. Small turbines have much  
7 less effect for given sound levels. The proposed  
8 regulations would be an effective ban on small wind  
9 in Vermont. A better level for small turbines would  
10 -- minimum would be 42 decibels day and night, and  
11 that's still conservative.

12 CHAIRMAN VOLZ: Thank you.

13 DR. QUIN: That's my presentation.

14 CHAIRMAN VOLZ: Okay.

15 MS. HOFMANN: Ask you a question about  
16 the difference in the small turbines in terms of the  
17 NRO and their ability to change operations from day  
18 to night.

19 MR. DAY: Well most small wind  
20 turbines, in other words, if you could afford them,  
21 are all fixed blade. All the turbines on the SWC  
22 website are all fixed blade.

23 As I understand, the way that the NRO  
24 is going to be performed, is to pitch -- have a  
25 pitching blade that's going to be able to slow the



1 RPM of the rotor down and therefore reduce the noise.  
2 And turbines available for Vermonters to buy today,  
3 that are certified, cannot do that. So you would  
4 basically be sending the entire industry back to  
5 redesign, rebuild and recertify in order to do an  
6 NRO.

7 I mean we are all working as hard as we  
8 can on new technology, but as of today, that's your  
9 choices.

10 MS. HOFMANN: Thank you.

11 CHAIRMAN VOLZ: I just want to clarify  
12 your -- about your presentation, Mr. Quin. I guess  
13 you just gave one. Do you have another one you want  
14 to do?

15 MR. DAY: Yeah, I have another one.

16 CHAIRMAN VOLZ: You signed up for 35  
17 minutes. You've used 21 or 22.

18 MR. DAY: Do you want to take a lunch  
19 break?

20 CHAIRMAN VOLZ: We are scheduled for  
21 12:35 to do the lunch break. So just keep going.  
22 Yes.

23 MR. GRASS: David Grass, Vermont  
24 Department of Health. For your presentation can you  
25 tell me what your operating definition of small wind

1 turbine was?

2 DR. QUIN: You know, that's a question  
3 that it seems to vary a bit. I think most people  
4 would agree that anything under 25 is considered  
5 small. I would tend to believe based on my  
6 experience that it would be under a hundred, that  
7 usually the turbine is the 50, 75 -- 50 kilowatt  
8 usually don't see the kind of sound issues with  
9 anything under 100. Some under a hundred clearly  
10 have some problems. I would probably not include a  
11 hundred in small wind.

12 MR. GRASS: So the generalizations that  
13 you were making, that would apply to wind turbines  
14 with less than a 100.

15 DR. QUIN: Less than 100. Yeah. Any  
16 other questions?

17 MR. DAY: Okay, I'm Jason Day from Star  
18 Wind Turbines. And we manufacture small turbines  
19 from 5 to 50 kilowatts for individual ownership.  
20 These would be turbines that would be truly  
21 distributive. They would be for going into a  
22 farmer's field or into somebody's backyard that --  
23 somebody that wants to make their own energy for  
24 their house.

25 And what I've noticed for the last

1 several meetings that we have had in this work group  
2 is that everybody has been pretty much talking about  
3 large wind turbines. And all of the data and  
4 argument, et cetera, et cetera. So we want to step  
5 forward and identify the small wind turbines are not  
6 large wind turbines. And we want to emphasize what  
7 the differences are.

8 So small wind turbines make less noise  
9 than large wind turbines. And you can check out the  
10 data sheets. I can give it to you later if you like,  
11 but you're going to typically see either, if you  
12 measure it in sound power levels or sound pressure  
13 levels, you're going to find that small wind turbines  
14 are going to be quieter. They do not make the same  
15 low frequency and infrasound as large turbines. They  
16 are smaller mechanisms. They don't have step-up  
17 gearboxes. They don't have the amount of vibrations  
18 and low frequency sounds because they are spinning  
19 faster, the mechanisms are direct drive. They are on  
20 shorter towers. And have smaller diameters. This  
21 means that the ground and the forest is going to  
22 absorb the noise. The sound not going to travel as  
23 far. And obviously they are not going to have as  
24 much of a visual impact. The -- okay, they will --  
25 typically these are going to be located closer to

1 neighboring residents. Low visual. Unlike what REV  
2 pointed out. They don't necessarily have to be on  
3 ridge tops. They are going to be in the Champlain  
4 Valley. They are going to be in the Grand Isles.  
5 They are going to be on farms. They don't  
6 necessarily have to have high wind speeds in order to  
7 be feasible, in order to make useful energy.

8 So therefore, it's going to be a great  
9 economic benefit for -- the average landowner can put  
10 up a small wind turbine on their properties and make  
11 their own electricity, and Vermont is special in that  
12 you can actually get paid cash. So we had talked  
13 about the definitions of small wind in that, you  
14 know, there is a definition out there that's less  
15 than a hundred kilowatt. You see 50 kilowatt. The  
16 AWEA 9.1 specifies 50 kilowatt. It has a small wind  
17 -- standard-offer program in Vermont specifies it at  
18 100 kilowatt. Okay. So here's a typical difference.  
19 That's a Vestas V117. I think it's on top of some of  
20 these Vermont wind farms, and that's the Bergey down  
21 there at the bottom on a hundred foot tower. You can  
22 see the visual distance. You're going to find that  
23 if you get the data sheets, you're going to find that  
24 the tower heights are much higher, 450. Blade area  
25 is 384 feet versus 23 feet. It's a difference of

1 10,000 square meters versus 38 square meters. So the  
2 differences in the actual sound pressure and sound  
3 power coming out of a large turbine and a small  
4 turbine, I mean hearing -- I hear stories about  
5 people putting their hand on the wall and feeling  
6 vibrations and all sorts of things. That's not going  
7 to happen with a small wind turbine. It does not  
8 have that type of sound power.

9 So the differences you'll find between  
10 that Vestas and the Bergey is almost -- almost 10 dB  
11 of difference. Okay. So that makes a difference.  
12 That's why you need 4,000 feet for this large turbine  
13 and the Bergey, you know, to make 45 decibels, you  
14 could probably make 45 decibels in 5 or 600 feet. So  
15 this is the difference.

16 What you're going to find out in the  
17 world, you know, we have all seen these turbines.  
18 There is the Sky Stream at Northern Power down the  
19 street makes a hundred kilowatt. We are making the  
20 turbines like this. You're going to see them close  
21 to houses. This is what they are designed for.  
22 You're going to see -- and this is what AWEA 9.1 is  
23 all about, is they specify it, and they anticipate  
24 the use of a small wind turbine to be -- start at 200  
25 feet. And then you can go out farther from there.

1 So what they do is they specify a rated power in dBA  
2 which is sound pressure not sound power. At that  
3 point you can, as a rule of thumb, if you double the  
4 distance, the sound pressure in dBA will go down  
5 about six dB. And you can do an estimate that way.

6 We are all using modern software, you  
7 know, to show this in a graphical way such as Windpro  
8 or DNV software, et cetera, and that's not too hard  
9 to do. But these -- so you can see farms and houses,  
10 et cetera. It's -- this is what small wind turbines  
11 look like. And so this is a certification data sheet  
12 out of SWCC's website. This is about the Bergey 10  
13 kilowatt. The reason I'm talking about the Bergey 10  
14 kilowatt is it's the most popular wind turbine in the  
15 United States. It's in Vermont. There are turbines  
16 down to one kilowatt, and there are turbines up to 65  
17 kilowatt on the website.

18 Okay. So you can see -- the point I  
19 want to make on this is that the -- you can see the  
20 high, the maximum noise level up there, around 55 or  
21 57. That's the maximum noise level. If you go down  
22 in meters per second, it's somewhere closer to meters  
23 per second. It's somewhere around -- you can convert  
24 meters per second to miles per hour. 12 meters per  
25 second is about 25 miles an hour. So you can see --

1 DR. QUIN: You can see the background  
2 there too by the way, that is Texas which is even  
3 lower than what you have here in Vermont.

4 MR. DAY: That's a good point. I'm  
5 going to point out this background noise.

6 DR. QUIN: You've got plenty of it  
7 there.

8 MR. DAY: I know that site. That site  
9 is grass. This is the sound of grass. This is not  
10 trees, not houses. This is the sound of high grass.  
11 It's not even corn. This site is going to be making  
12 -- when the Bergey is up there at -- making maximum  
13 sound at 55, 57, the background noise you can see is  
14 somewhere there around 45 decibels. Et cetera.

15 Okay. In order to get -- and I hear  
16 these stories about 18 decibels and 20 decibels of  
17 background noise. Yes, that can happen if you have  
18 absolutely no wind on a frozen day. Okay. If you go  
19 out into any average Vermont woods even in the  
20 wintertime, when there is no leaves, okay, you cannot  
21 get -- just average wind four miles an hour breeze or  
22 five miles an hour breeze. You cannot get less than  
23 40 decibels, 35 decibels of background noise. It  
24 won't happen.

25 So what we are saying is -- and I'm

1 going to get back to this point. Look at this data  
2 here, and this is grass. This is not trees. Now a  
3 deciduous tree with leaves on it will make 55  
4 decibels of noise, 50, 55 decibels of noise in that  
5 high wind. Okay. So this is the same -- this is as  
6 Dr. Quin's chart -- this is sound pressure instead of  
7 sound power.

8 What I want to show is if you can see  
9 this is the Wiebull curve which shows the probability  
10 of instance. How often does this -- how often is the  
11 wind going to be at 11 miles an hour. You can see  
12 the peak. This curve is an average of 11 mile-an-  
13 hour peak. And it's showing about, you know, 12  
14 percent of the time. So the majority of the time up  
15 there is between 6 and 14 miles an hour. But if you  
16 look at 26 miles an hour where the Bergey makes its  
17 maximum sound, its maximum noise, you can see it's  
18 less than a fraction of the percent of the time, and  
19 you calculate that out. You know .2 percent of the  
20 time up there between 24, 25 miles an hour, is  
21 somewhere around 16 hours out of 8,760 hours per  
22 year. This is what we are talking about.

23 Okay. So you can see this is the list  
24 that was presented by REV of the same turbines. She  
25 represented and put the data up on the rated sound



1 power. I went through and I marked down what the  
2 maximum sound power was on these turbines. And you  
3 can see it there, and right next to it there is the  
4 distances that you would be required to have in order  
5 to make 35 decibels. And that's probably very  
6 conservative. You probably should add 10 percent to  
7 that. We will get back to that.

8 Okay. So my customers ask me, how many  
9 acres do I need to install a wind turbine, and they  
10 say 15 acres enough? Is 10 acres enough? And I have  
11 to tell them that if you have a property and you have  
12 to maintain 1,300 feet, you need 155 acres to install  
13 a turbine, a Bergey turbine. In order -- if you were  
14 to have a house on every side, around that turbine  
15 with the 100 foot buffer.

16 This is -- and so if you put that on,  
17 you know, the Vermont landscape, you can see the  
18 property lines there of an example of houses that  
19 have long slender property lines, that go up the  
20 hill. And, you know, in a practical application that  
21 would make it an excellent wind site. There is the  
22 row of houses down there at the bottom of the hill.  
23 And where that turbine, that yellow dot is at the top  
24 of the hill, so you would -- perfect place for a  
25 turbine. And there is your 155-acre square there.

1 And then you would do your Windpro software. Either  
2 this software or the software by DNV. These are the  
3 worldwide recognized software programs to model. You  
4 would see the yellow line at the outside there, would  
5 show you a 1,300 feet, and that's the 35 decibel  
6 line. The pink dot on the side there is the house.  
7 So this turbine could potentially meet the sound  
8 pressure. But if you look at the setback distances,  
9 you have your two times the top of the blade. So  
10 this would be automatically disqualified because this  
11 property is only 310 feet wide. And the top of the  
12 blade of the turbine could be 200, 250 feet.

13 So you know, what we are requesting is  
14 you look at each case individually and not  
15 automatically eliminate because of an arbitrary  
16 setback limit. We talked about the sound  
17 environment. This is an example here again when I  
18 hear stories about 27 dB of background noise, or we  
19 were at the Bennington meeting and a gentleman talked  
20 about or people talked about 18 decibels of  
21 background noise. Well okay. It's possible to  
22 happen. But when that happens, a small wind turbine  
23 -- you can see it off there to the right is in the  
24 same neighborhood. And therefore, it's going to have  
25 zero sound output at that particular time. If you're

1 talking about the same time. It's not the big  
2 turbine up the hill that could be getting the high  
3 wind and making -- potentially could be making high  
4 noise, highest maximum noise at that point, when the  
5 terrain is blocking the wind and therefore you have  
6 -- and therefore blocking any background noise from  
7 happening.

8 The small wind turbine is going to be  
9 in the same vicinity, and it's going to have the same  
10 -- it's going to be making low noise when there is  
11 low background noise, and when the background noise  
12 of trees and grass come up, for that small percentage  
13 of the time, the small wind turbine then will make  
14 its maximum noise, and we will get into that  
15 scenario.

16 So things to consider. Small wind  
17 turbines make their maximum noise when the wind is  
18 high. Okay. This is 15 to 25 miles an hour. At  
19 that time a neighbor will likely go inside and shut  
20 his or her windows at night. So what we are saying  
21 is that when you're outside, and it's six or eight  
22 miles an hour, that's going to blow your hat off.  
23 Okay. And if you're -- if the wind goes up to 11  
24 miles an hour, you're going to cancel your picnic.  
25 You're going to fold up everything. You're going to

1 go inside. At 15 miles an hour, your trash can's  
2 going to go blowing down the street. At 20 or 25  
3 miles an hour which is a fraction of the time you're  
4 in a wind storm, and we all know what that sounds  
5 like when you go inside. And as I understand it this  
6 ordinance is to protect people so they can get their  
7 sleep.

8 Okay. Well in a wind storm most people  
9 are going to shut the window. Okay. And when you  
10 shut the window, number two. Most likely people are  
11 going to shut their window in the wintertime which is  
12 six to eight months of the year. So we are talking  
13 about summertime. Now when you go inside, and we  
14 have had many discussions here, many different  
15 opinions of background noise, and I've read the  
16 letters. One fellow that was putting a diesel  
17 tractor outside the window and measuring only a six  
18 dB difference from a diesel engine. Okay. And then  
19 other data was showing 25 dBA of difference. Okay.  
20 So we are going to average 12, 15. Maybe fair. I  
21 think I heard the gentleman say five decibels for an  
22 open window. Okay. So when you close that window,  
23 you're going to get 15 decibels of noise attenuation  
24 or masking.

25 So now when you have -- so number four.

1 Small wind turbines do not have the low frequency  
2 sound and infrasound. They just don't. Nobody has  
3 reported any complaints of such. And it's because it  
4 doesn't exist. And this is why AWEA 9.1 and SWCC  
5 they don't test it because it's not a problem. Okay.  
6 They start testing octaves and low frequency sounds  
7 in IC61400-11 which was designed to test large wind  
8 turbines. They came up with AWEA 9.1 because they  
9 knew that small wind turbines could not meet or could  
10 not exist with IC61400-11.

11 CHAIRMAN VOLZ: You're five minutes  
12 over your time now. So you can wrap up.

13 MR. DAY: Okay.

14 DR. QUIN: It's about done.

15 MR. DAY: So what I'm saying is that  
16 the scenario of a turbine, you go in high wind which  
17 makes its sound 16 hours out of the year. The  
18 neighbor's going to go inside, close the windows,  
19 whether it's wintertime or whether it's just -- the  
20 house is going to have 16 dBA of sound attenuation,  
21 and the net sound will be less than the three dBA  
22 inside as required.

23 Also that does not take into account  
24 any background noise that's going to be happening  
25 during that wind storm. And we are recommending --

1 conclusion; we are recommending 42 dBA at minimum,  
2 okay, for night and day. And we are requiring that  
3 not be subject to IC61400-11 but AWEA 9.1. And there  
4 not be any setback limit in rule 5.100 or 5.700.

5 We are recommending 1.1 times the top  
6 of the blade, and then review it on a case-by-case  
7 basis, you know, based on visual impact or whatever  
8 during the CPG process.

9 CHAIRMAN VOLZ: Okay. Thank you. So I  
10 think what we would like to do is take our lunch  
11 break now, and then when we come back we will have  
12 questions for you when we come back.

13 MR. DAY: Okay, great.

14 CHAIRMAN VOLZ: So we will come back at  
15 1:35.

16 (Recess was taken.)

17 CHAIRMAN VOLZ: We are back from lunch,  
18 and we are ready for the next --

19 MS. CHENEY: Actually questions.

20 CHAIRMAN VOLZ: -- questions; that's  
21 right. So do we have questions?

22 MS. HOFMANN: For Mr. Day?

23 MR. DAY: Can I just sum up, if nobody  
24 has any questions?

25 CHAIRMAN VOLZ: I think no. I think we

1 understood what you were saying --

2 MR. DAY: Okay.

3 CHAIRMAN VOLZ: -- pretty well  
4 actually. I think it came across very well.

5 MS. HOFMANN: You already answered my  
6 question about NRO and small wind turbines.

7 MR. LEWIS: Can I ask a question  
8 following up with that?

9 CHAIRMAN VOLZ: Sure.

10 MR. LEWIS: There was a discussion of  
11 NRO with the small turbines, and I just want to ask  
12 for clarification. Can most small wind turbines  
13 curtail to adjust their sound limit?

14 MR. DAY: No. Every certified turbine  
15 on that list is a fixed-blade turbine. We are  
16 working on it. Okay. We are working on better  
17 turbines and better technology, but as of today, if  
18 you were to go out and buy a turbine, I would say any  
19 turbine, I'm not talking about Star Wind Turbines,  
20 I'm just saying the small wind turbine industry here  
21 you will not find a wind turbine with articulating  
22 blades in the small wind category.

23 MR. LEWIS: So that means that --

24 MR. DAY: They will not be able to do  
25 NRO. In order to do NRO, basically you pitch the

1 blades and slow the blade down, and therefore reduce  
2 the tip speed and reduce the noise.

3 MS. HOFMANN: Can you stop them?

4 MR. DAY: Yeah, you can stop them and  
5 make zero energy. Sure.

6 MS. CAMPBELL ANDERSON: But could a  
7 homeowner do that on their own?

8 MR. DAY: It's possible. You just --  
9 it's possible. I mean --

10 MS. CAMPBELL ANDERSON: Every night  
11 turn it --

12 MR. DAY: You could put a contactor  
13 switch on your breaker and turn it off from the grid,  
14 and it will shut down. I mean at least ours does.  
15 But I can't talk for everybody.

16 CHAIRMAN VOLZ: It would stop spinning?

17 MR. DAY: You could -- you know, I  
18 can't say. Most turbines have damper load cells, so  
19 when they lose the grid, the load bank comes on and  
20 replaces the grid but they keep spinning, but mainly  
21 protect themselves from over-spinning. Sophisticated  
22 wind turbines like Northern Power, Star Wind  
23 Turbines, may have an ability to pitch their blades  
24 or have a disk brake.

25 CHAIRMAN VOLZ: But the small ones that



1 you were talking about --

2 MR. DAY: The ones on that list they  
3 are all -- they do not have NRO capability.

4 CHAIRMAN VOLZ: If you discontinued  
5 them from the grid, they would continue to spin.

6 MR. DAY: Yes. I think that the  
7 Chinese one, the 65 kilowatt, I believe has a disk  
8 brake.

9 CHAIRMAN VOLZ: So you could stop the  
10 spinning.

11 MR. DAY: That could potentially  
12 program it to shut down maybe. I'm not exactly sure.  
13 I mean it's possible.

14 MS. CAMPBELL ANDERSON: So you couldn't  
15 really have a night and a daytime standard. It would  
16 be very difficult.

17 MR. DAY: Well you could shut down the  
18 turbine. I mean --

19 CHAIRMAN VOLZ: That's my question.  
20 Can you really shut it down so that it's not making  
21 noise anymore?

22 MR. DAY: That list of turbines I'm  
23 saying no. Northern Power 100 you can.

24 CHAIRMAN VOLZ: Okay. But you were  
25 talking about the category below 100.

1 MR. DAY: Yeah.

2 CHAIRMAN VOLZ: That was your  
3 presentation.

4 MR. DAY: That list we gave you off of  
5 the SWCC site, none of those turbines you can perform  
6 NRO.

7 CHAIRMAN VOLZ: Okay.

8 MS. HOFMANN: Well not just NRO, also  
9 just stop --

10 CHAIRMAN VOLZ: Stop them from turning.

11 MS. HOFMANN: You stop them. They may  
12 still turn because the wind is blowing.

13 MR. DAY: They are not designed to  
14 stop. They are designed to protect themselves from  
15 over-rotation when the grid goes out. They still  
16 spin. They just replace the grid with a dump load.

17 CHAIRMAN VOLZ: All right. So any  
18 other questions? Yes.

19 MR. AMBROSE: I have a question for  
20 you, Dr. On the Texas Wind, you showed a slide of  
21 wind noise that you drew a regression line through  
22 over grassland.

23 DR. QUIN: Yeah.

24 MR. DAY: That was my slide.

25 MR. AMBROSE: That was your slide.

1 Were you able to assure that you were not getting  
2 wind-on-microphone interference?

3 MR. DAY: Well I'm not a -- those sites  
4 are operated by certified acoustic engineers, okay.  
5 They are certified by NREL. Okay, so I expect that  
6 those engineers are experts, and I'm sure they can  
7 tell the difference between background noise and wind  
8 turbine noise.

9 MR. AMBROSE: No, just wind on  
10 microphone is a thing you have to be aware of.

11 DR. QUIN: It's an issue, I agree.  
12 Lots of people have looked at it. I'm sure you read  
13 Dave Hessler's paper about it. I've read it too, and  
14 it is significant.

15 MR. DAY: I've seen some of the  
16 apparatus they have that kind of cone the microphone.

17 MR. AMBROSE: You have to protect it,  
18 because it is measuring minute variations in  
19 barometric pressure.

20 MR. DAY: Yeah. They do special  
21 things. I'm not a sound engineer.

22 MR. AMBROSE: I just want --

23 MR. DAY: They do have special efforts  
24 to get -- so the data that is on these certified  
25 sites is very accurate.

1 MR. AMBROSE: I'll leave it at that.

2 MR. DAY: Okay.

3 CHAIRMAN VOLZ: Any other questions?  
4 Okay. So I think we are ready for Resource Systems  
5 Group.

6 MR. DUNCAN: Somebody hit the lights?  
7 That's probably good. Thanks. Thank you.

8 My name is Eddie Duncan, and I'm with  
9 RSG. I want to thank the Board for giving us the  
10 time to speak today on a number of topics that we  
11 prepared hoping that they would be useful to the  
12 Board in preparing the draft rule.

13 I also want to sympathize with the  
14 Board that the task at hand is very difficult, and  
15 while I sympathize with you, I don't -- well I guess  
16 I would just say I don't envy what you have to do  
17 with this technical information. But I think it does  
18 give the Board the opportunity to do something great  
19 in terms of providing clarity to noise rules in the  
20 State of Vermont for the average citizen and for  
21 developers as well so that they know what to expect.  
22 And I appreciate that.

23 So a brief introduction. My name's  
24 Eddie Duncan. I'm a director with RSG. I manage the  
25 acoustics practice at RSG. I have been with RSG for

1 about 13 and-a-half years and practicing acoustics  
2 for about 15 years. I'm Board certified through the  
3 Institute of Noise Control Engineering, and I'm a  
4 member of the Acoustical Society of America.

5 My education background is in  
6 environmental law and policy from Green Mountain  
7 College. It's actually a degree in environmental  
8 studies with focus on environmental law/policy where  
9 I looked specifically at noise policy which was my  
10 interest in entering into that.

11 My other background is in engineering  
12 and science with a focus on acoustics. So that's  
13 where I get my acoustics background from, and that's  
14 from RPI. RSG also has as a whole -- our acoustics  
15 team has significant experience in the field of wind  
16 turbine acoustics dating back to 1993 when we did  
17 work for the Maine land use regulatory commission.  
18 Since that time we have studied over 80 different  
19 wind turbine projects across the country from Maine  
20 to Hawaii, including in the state; Deerfield Wind,  
21 Kingdom Wind, Georgia Mountain Community Wind and  
22 others that are in development.

23 We have also conducted research on wind  
24 turbine acoustics partly for our own edification and  
25 then also other projects for the Massachusetts Clean

1 Energy Center, and Lawrence Berkeley Laboratory for  
2 the U.S. Department of Energy.

3 Our staff regularly publishes papers,  
4 and in fact just two days ago, one of our staff was  
5 at the International Wind Turbine Acoustics  
6 Conference being held this week in Rotterdam,  
7 Netherlands, which is probably where Payam will be  
8 calling in from in just a little bit. And then our  
9 staff is also co-chair of the technical committee on  
10 wind turbine acoustics at the Institute of Noise  
11 Control Engineering.

12 So today I asked for an hour. I  
13 suspect it's probably only going to be about 50  
14 minutes. I have five topics that I would like to  
15 cover. These are topics that aren't tied by any one  
16 theme, but rather topics that I thought would be  
17 information that would be helpful to the Board in  
18 producing a rule. Those include post-construction  
19 compliance measurements where I'll spend a good  
20 portion of time. And then also aesthetics and noise  
21 annoyance where I'll spend a good bit of time. And  
22 then less time, but I will be talking about outdoor  
23 to indoor attenuation, noise reduced operation of  
24 wind turbines, and then the PSB precedent versus the  
25 proposed rule and acoustic context for that.

1                   So the proposed rule in the economic  
2                   impact statement that's required for making --  
3                   creating a new rule, it hypothesizes that the  
4                   proposed compliance measurements will be cheaper than  
5                   other alternatives or cost less than other  
6                   alternatives. And the reason that it proposes that  
7                   is that it requires monitoring when sound levels from  
8                   the wind turbine are at its highest, and background  
9                   sound levels are at its lowest, therefore the line of  
10                  thought is you don't need to account for background  
11                  sound levels because you're measuring the sound from  
12                  wind turbines.

13                  So the new rule does away with  
14                  background sound level monitoring as opposed to  
15                  methods that have been used in previous projects in  
16                  the state and in some other parts around the country.  
17                  RSG's experience with this is that this methodology  
18                  does not result in cost savings by not accounting for  
19                  background sound levels. And in fact, it will not  
20                  necessarily yield accurate results at all, in some  
21                  cases it may, and in some cases it may not, but you  
22                  won't know for sure if it's an accurate measurement  
23                  or not.

24                  So I plan to present the reasoning  
25                  behind those two things. So the proposed rule is

1 very similar to Maine's compliance measurement  
2 procedure. It requires the arithmetic average of 12,  
3 10-minute periods. And it takes that number and  
4 compares it to the limits in the rule. Those  
5 measurements need to be conducted when wind turbine  
6 sound is dominant which is probably at night when  
7 background sound levels are low. Downwind within 45  
8 degrees of the five closest turbines. Surface  
9 measurements -- maximum surface wind speeds need to  
10 be six miles per hour or less, surface being defined  
11 as ten meters above ground. And hub height wind  
12 speeds able to generate maximum turbine power output  
13 of plus or minus one decibel. The issue with this is  
14 that these conditions, while ideal, and may yield  
15 accurate results, require long-term monitoring at  
16 most sites in order to actually capture all of these  
17 conditions at once, which is required. These are  
18 "and" statements not "or" statements.

19 Also, the standard -- the current  
20 proposed rule contemplates installation of temporary  
21 10-meter mast at the site to measure wind speed.  
22 Typically this isn't a problem; this can be done.  
23 Typically when you're installing a 10-meter mast  
24 you're talking about long-term sound level  
25 measurements. We are not talking about short-term



1 sound level measurements. So to the extent the Board  
2 or anyone else considers the amount of time needed to  
3 monitor to be shorter, it's still a long- term  
4 measurement. It's not a few hours of attended  
5 monitoring.

6 So to give an example of this, I would  
7 like to present two case studies from the state of  
8 Maine. Again, it's very similar to the compliance  
9 requirements here in Vermont under the proposed rule.  
10 And so in this case we have four monitoring  
11 locations, actually we might need to hit the light  
12 again, just to see the background -- the map there.  
13 So it might be difficult to see, but this is in the  
14 state of Maine. There are four compliance monitoring  
15 locations. There is one to the east, the west, and  
16 then there is two to the south; southeast and  
17 southwest. Having four compliance monitoring  
18 locations which were selected because this is near  
19 the nearest residences, requires that we conduct  
20 monitoring in wind regimes from four different  
21 directions, and then it also requires all those other  
22 things, maximum sound power output above, lower down  
23 below. So we had to watch the weather forecast for  
24 about nine months in this case, and during those nine  
25 months we would go out when it looked like the

1 weather was -- forecast was promising to capture  
2 those events, and we may have captured them or may  
3 not have captured them.

4 We would have to then go back and  
5 analyze that data to see did we have enough periods  
6 or not. We don't know ahead of time. So over the  
7 course of those nine months we monitored over seven  
8 periods for a total of 53 days. And in those 53 days  
9 of monitoring at two locations, we had seven and  
10 eight valid periods. These are 12 10-minute periods  
11 that are needed. We had seven and eight 10-minute  
12 periods that were valid, and at two locations we had  
13 none that were valid that met all of those criteria.

14 Another example from the state of  
15 Maine, this one is more of a better case scenario.  
16 We have a sound monitor that was installed really in  
17 almost an ideal location to try and capture those  
18 requirements for sound monitoring. It was downwind  
19 from the predominant wind direction. It was near the  
20 wind turbines but also in the direction of the  
21 nearest residences, so it was representative of them.  
22 And because it was downwind of the predominant wind  
23 direction and below the ridge, theoretically we  
24 should have less wind at this site, less ground wind  
25 speed at this site, because the ridge is blocking

1           that.

2                           I would add that this monitor is a  
3           continuous or permanent monitor installation in the  
4           state of Maine. There is a concrete pad and solar  
5           power, and it's monitoring all the time. So with  
6           doing that, in the first five years of monitoring we  
7           had the advantage of it being a continuous system so  
8           we could figure out what days were best after the  
9           fact. But then even in going in and looking at those  
10          days that were best to capture those periods, we had  
11          to analyze five days before we could come across 12  
12          periods that were valid. And that's for three years.  
13          Two years we had to look at 11 days of data and eight  
14          days of data in order to actually find those 12, 10-  
15          minute periods that were valid. And even in this  
16          scenario, for those 12, 10-minute periods that were  
17          valid, we had to go back and filter out bird calls  
18          because they were affecting sound levels in some of  
19          the 10-minute periods.

20                        So those are just two examples that I  
21          hope demonstrate that the proposed conditions can be  
22          quite problematic and actually don't result in  
23          shorter monitoring. It may, you may get lucky and  
24          have the right conditions at a site, but you may not.  
25          And it might be difficult to find that location. You

1 don't know that ahead of time. It still requires  
2 significant data analysis, and in the end at some  
3 sites it may amount to continuous sound monitoring.

4 So now I would like to shift over to  
5 talking more about the accuracy of this. The rule or  
6 the conditions in the rule have the assumption built  
7 in that the wind turbines are the only noise source  
8 that's aloft at a site. In Vermont that's not the  
9 case. We are dealing with hills and mountains that  
10 are forested. And so when you have high winds aloft  
11 and low winds below, you can have your monitor far  
12 away from any tree, but you're still looking at a  
13 wall of forest leading up to the higher terrain where  
14 the wind turbines are.

15 And so what you end up actually  
16 measuring if you're not accounting for background  
17 sound levels is the sound from the wind turbine and  
18 the sound from the forest. And it's -- you don't  
19 have to have leaves on the forest for the forest to  
20 generate noise. If you have high winds aloft, tree  
21 moving through trunks and branches can actually be  
22 confused quite easily with wind turbine acoustics  
23 depending on the conditions at the site. And I have  
24 been there at sites before where I have had another  
25 acoustical expert from another firm working for

1 another entity, and we were both looking up at the  
2 turbines and listening, and we can't tell based on  
3 the high winds whether it's coming from the turbine  
4 or whether it's coming from the forest. And it's not  
5 until you actually shut the turbines off you're able  
6 to actually tell that was mostly the wind turbine or,  
7 oh, a good portion of that was from the forest.

8 So our recommendations to the Board on  
9 post-construction compliance monitoring would be to  
10 account for background sound levels. I'm not laying  
11 out a full detailed way to do that at this point, but  
12 I would offer that the turbine shutdown method  
13 actually works quite well. It may not be what is  
14 favored by the industry because there are power  
15 losses when you do that, but there is no cleaner way  
16 to look at what the sound level is when the turbines  
17 are on, shut them off, and see what the background  
18 sound levels are.

19 The shielding method, this has also  
20 been used at some projects in the state. This is  
21 where you have a microphone on the opposite side of  
22 the building or something like that. If the  
23 locations are selected well, it's a good estimate of  
24 what the sound levels are like. We have compared the  
25 -- that to the turbine shutdown method at specific

1 sites, and showed that it can actually provide a  
2 pretty good estimate at those sites if the selection  
3 -- if the locations are selected well.

4 I would encourage the Board not to  
5 consider what we call the proxy method. That is  
6 where you have a sound level meter that is far away  
7 from the site, and you're saying that that's  
8 background sound levels. And at the same time you  
9 have another monitor that is close to a project site,  
10 and that's measuring operational sound levels. This  
11 is something that works well in the midwest where you  
12 have a homogeneous landscape that's just farm fields  
13 with the same crop and the same wind conditions, so  
14 you can go far away from the site and get fairly good  
15 background sound level measurements at the same time,  
16 but in Vermont it's difficult. We have a  
17 heterogenous landscape, and we have mountains and  
18 terrain that just affect the background sound levels  
19 in all locations. We have streams everywhere that  
20 create sound. So it's hard to find a location that's  
21 a good proxy background location for projects in the  
22 state.

23 I also believe -- I don't know if he'll  
24 talk about it today, but the department has presented  
25 at previous workshops before the Board another method

1 for accounting for background sound levels. And I  
2 haven't looked into that method in detail at this  
3 point in time. But that may offer another option for  
4 the Board to account for background sound levels.

5 The other two recommendations here are  
6 to keep the current instrumentation personnel and  
7 calibration requirements in section 707 of the  
8 proposed rule. These look pretty good. I think it's  
9 good to have those specifications. And then also the  
10 -- we would recommend that post-construction  
11 monitoring be used to verify the preconstruction  
12 model. There has been some questions, and there was  
13 questions in previous presentations about the  
14 accuracy and the adequacy of the modeling -- standard  
15 modeling methodology and predicting sound propagation  
16 from wind turbines. That's an easy thing that we can  
17 look at. We have projects that are built, and we  
18 have projects -- we have models for those projects,  
19 and we have monitored data for those projects. And  
20 you can do that for all future projects. Compare  
21 what the post-construction compliance monitoring says  
22 with what the model says it should be, and adjust the  
23 model as necessary for any enforcement actions that  
24 might be necessary.

25 Before I go into aesthetics and noise

1 annoyance, I just wanted to touch on one thing.  
2 There was a question earlier from I think someone  
3 from the Board about whether or not the monitoring  
4 and modeling should take place at one and-a-half  
5 meters or four meters since we are talking about  
6 compliance monitoring right now. I would propose  
7 that modeling be conducted at both one and-a-half  
8 meters and four meters. And then post-construction  
9 compliance monitoring be conducted at one and-a-half  
10 meters to verify the model. So if you know that,  
11 then you know that your four meter measurements are  
12 probably accurate as well, if your one and-a-half  
13 meter measurements are accurate. That's how I would  
14 address that.

15 So I would like to touch on aesthetics  
16 now. I don't know if aesthetics has a role in the  
17 proposed rule or not. I know it's been brought up at  
18 previous workshops. And so I thought it would be  
19 something that would be worth discussing in terms of  
20 how the acoustics community addresses aesthetics, and  
21 noise annoyance, and then why it's also important to  
22 consider the acoustical metrics involved in those  
23 studies.

24 So I would first offer to the Board  
25 that generally speaking the professional acoustics



1 community does not talk about aesthetics when they  
2 are talking about noise. This is something that we  
3 look at in Vermont, and I'll talk about that in a  
4 second. But in the acoustic community the closest  
5 that we come to those sorts of things is sound  
6 quality which is what we use to evaluate whether or  
7 not your car door sounds right when you close it. So  
8 Ford wants their car door slamming more quality than  
9 Chevy does. You know, and so that's something that  
10 we look at in terms of acoustics. And that involves  
11 some socio -- social surveying to figure that out.

12 We also talk about natural and cultural  
13 sounds as a natural resource. That's something  
14 that's a little more similar to aesthetics, but  
15 that's done by the National Park Service and in the  
16 context of protected areas. So that's not quite the  
17 same as the aesthetics that we are talking about  
18 here, I think.

19 Acoustical aesthetics in a rural  
20 working landscape are not something that's addressed  
21 by the professional acoustic community at large. We  
22 do address it here in Vermont though. In Act 250  
23 under criterion one we address noise as air  
24 pollution. That's to the extent that it has the  
25 potential to be a health impact. But we also address

1           it in the criterion eight, and that's to the extent  
2           that it is a potential aesthetic impact. To be  
3           clear, noise is not explicitly mentioned in the  
4           statute for Act 250 under criterion eight, but rather  
5           there is a long history of case law in addressing  
6           noise and acoustics under criterion eight.

7                         CHAIRMAN VOLZ: And not just for wind  
8           turbines but for -- in fact not for wind turbines.

9                         MR. DUNCAN: In fact not for wind  
10          turbines. This would be for whatever Act 250 is  
11          applicable to. Commercial development.

12                        CHAIRMAN VOLZ: Right.

13                        MR. DUNCAN: And it also, I would add,  
14          varies from project -- type of project to type of  
15          project. So a rock quarry may have different  
16          aesthetic impacts or standards than a quickie mart  
17          that for some reason had to do an Act 250 permit.  
18          Right.

19                        So back in 1985 the Quechee test was  
20          developed. I suspect that I'm reviewing a lot of  
21          information for people in the room, but I figured  
22          I'll just do a very brief overview to the extent that  
23          it applies to the topics that I plan to speak about.  
24          The Quechee test is a two-part test. It's the  
25          framework under which Act 250 looks at aesthetics,

1 that's both visual aesthetics and noise aesthetics.  
2 Although I would point out that the framework was  
3 developed by landscape architects for the  
4 Environmental Board, not acousticians, but either way  
5 it's used to look at acoustical aesthetics in Act 250  
6 today. And it's a two-part test that asks if the  
7 project is adverse. To do that you ask whether or  
8 not it fits the harmony of the area, whether or not  
9 it fits the context of the area. If the project is  
10 found to be adverse, you go to the second part of the  
11 test. So a project can be found to be adverse and  
12 still be permitted. But it cannot be found to be  
13 unduly adverse and be permitted.

14 So the test to be unduly adverse is  
15 whether or not it violates a clear written community  
16 standard that addresses aesthetics. Does the project  
17 offend the sensibilities of the average person. I'll  
18 touch -- we are going to highlight that one. And  
19 then the last one is has the applicant failed to take  
20 generally available mitigation steps. The first  
21 question and the third question are fairly easy to  
22 answer even in the context of wind turbine acoustics.  
23 The second one is a bit trickier. For Act 250 the  
24 threshold for does the project offend the  
25 sensibilities of the average person, is would the

1 sound be considered shocking and offensive by the  
2 average person. And I would offer to the Board that  
3 to the extent that the Board is considering  
4 aesthetics in the proposed rule making in its  
5 decision-making process, the question of whether or  
6 not the daytime limit of 42 dBA and nighttime limit  
7 of 35 dBA is necessary to keep the average person  
8 from being shocked and offended.

9 Now I mentioned earlier the acoustics  
10 community generally doesn't talk about acoustical  
11 aesthetics. What we do talk about is noise  
12 annoyance, and I wouldn't necessarily say that noise  
13 annoyance and aesthetics are the same thing. But I  
14 think that they are similar. Noise annoyance would  
15 address aesthetics of an area. So it's worth talking  
16 about here. In the field of noise annoyance we have  
17 a fairly standardized method for studying this. Even  
18 though it's standardized, oftentimes research is  
19 different from one paper to another. But we have an  
20 ISO standard that involves social surveying methods  
21 that asks under certain conditions are you lightly  
22 annoyed, moderately annoyed, or highly annoyed. And  
23 from those social surveys we also have sound levels  
24 associated with that. We are able to develop dose  
25 response relationships that say that for sound level

1 X, some portion of the population that's exposed to  
2 sound level X would be considered either lightly  
3 annoyed, moderately annoyed or highly annoyed  
4 depending on how that those questions were answered.

5 An example of that that I think the  
6 Board has seen in previous filings is the World  
7 Health Organization guidelines. They have  
8 generalized annoyance ratings for serious annoyance  
9 and moderate annoyance for community noise. For  
10 daytime and evening they set up a long-term 16-hour  
11 average of 55 dBA for a serious annoyance, and a  
12 long-term 16-hour average of 50 dBA for moderate  
13 annoyance.

14 I'll add that that study or that paper  
15 that came out from the World Health Organization was  
16 back in the year 2000, so this predates a lot of more  
17 recent research that is typical of wind turbine  
18 acoustics, and in fact this is more of a mushing  
19 together of mostly transportation sources.

20 What we do have though are wind turbine  
21 specific studies that have been conducted since that  
22 time. And primarily we have got three categories of  
23 those studies. There is the Swedish and Dutch  
24 studies that have been done. These are the Pedersen  
25 and Waye papers that you'll often hear referenced.

1 We also have a Japanese study that has looked at  
2 this. And the Health Canada study also has looked at  
3 this. The issue with these three studies is that  
4 they all use slightly different metrics and different  
5 modeling techniques to figure out what the dose  
6 response relationship is. So it's difficult to make  
7 an apples-to-apples comparison. But one paper does  
8 do that. It takes all of those studies, the Swedish  
9 and Dutch studies, the Japanese study, and the  
10 Canadian study, and it combines those dose response  
11 relationships and normalizes them to using the same  
12 metric so that we can actually compare them apples to  
13 apples. That is, they used the same modeling  
14 techniques ISO 9613-2. G equals 0. Four meter high  
15 receivers.

16 These modeling parameters I would point  
17 out would yield two decibels lower than what we  
18 currently use in Vermont because these modeling  
19 parameters used in this paper don't take into account  
20 manufacturer uncertainty, so they would be lower. So  
21 when we look at this data set, I'll say that in just  
22 a second, 43 dBA in this data set is actually what we  
23 currently use in Vermont 45 dBA.

24 CHAIRMAN VOLZ: And the group that did  
25 that normalization one of the authors is Mr. Kaliski?

1 MR. DUNCAN: It is.

2 CHAIRMAN VOLZ: He's the same person  
3 who worked for the Department of Public Service or  
4 different?

5 MR. DUNCAN: No. Mr. Kaliski works at  
6 RSG. He's the previous director of the acoustics  
7 practice. Still practicing. And this paper was  
8 presented at the wind turbine acoustics conference  
9 this past week with his normalization.

10 CHAIRMAN VOLZ: Okay. It's not the  
11 same consultant the Department of Public Service used  
12 earlier? It was a different spelling?

13 MR. DUNCAN: No. That's Payam  
14 Ashtiani.

15 CHAIRMAN VOLZ: Sorry. It's confusing.

16 MR. DUNCAN: So this normalization is  
17 not this long-term LDN which we are not even using in  
18 the state anyways. It's an hourly LEQ which is what  
19 we are currently using in the State of Vermont, and I  
20 believe what is similar to what the proposed rule is  
21 looking at. And so that's what we are looking at  
22 here. On the vertical axis we have the percentage of  
23 people who are exposed to noise of a certain level  
24 that are highly annoyed. And on the horizontal axis  
25 we have actually what those sound levels are that

1 they are exposed to. So this is our dose response  
2 relationship of all of the studies using the same  
3 metrics so they are comparable apples to apples.

4 And what we actually see is fairly good  
5 agreement among the Swedish, Dutch and Health Canada  
6 studies which results in what we currently use in  
7 Vermont, a 45 dBA one-hour maximum resulting in 15  
8 percent of the population being highly annoyed.  
9 Under the Japanese study 45 dBA one-hour maximum for  
10 what we currently use in Vermont is 15 percent of the  
11 population. Highly annoyed.

12 It's worth noting that these curves are  
13 modified and influenced by additional attitudinal  
14 variables. So things such as fear, and belief that  
15 the noise could be prevented, and personal benefit to  
16 a project, perceived importance of a noise source,  
17 these are all things that affect someone's potential  
18 to be annoyed by noise. I add this here because I  
19 think it's important for the Board to note, and I  
20 suspect you may have heard this previously, but that  
21 is that perceived fairness in the decision-making  
22 process is one of the things that have been  
23 correlated with noise annoyance. I'm not saying the  
24 Board's not fair. I'm just offering that up as a --  
25 that is something that is in the studies that shows



1 that perceived fairness in the decision making  
2 process affects noise annoyance afterwards.

3 In the Swedish and Dutch studies it was  
4 also observed that annoyance occurs primarily when  
5 spending time outdoors with activities such as  
6 relaxing and barbecuing and things like that.

7 So with that, I would offer that given  
8 that annoyance occurs primarily when people are  
9 outdoors, does it even make sense to have a nighttime  
10 limit address aesthetics. I'm not saying that the  
11 Board was considering aesthetics for the nighttime  
12 limit, but that is just a question that I would pose  
13 if the Board is considering aesthetics, does it make  
14 sense that it would be at nighttime. But rather  
15 perhaps a limit -- a lower limit if there is a lower  
16 limit by time of day, that that would be applied in  
17 the evening, potentially 5 p.m. to 9 p.m. I just  
18 throw those numbers out there, the difference from  
19 the rest of the period, because that's when people  
20 would be outside, enjoying time outside.

21 I would also offer that given the  
22 annoyance research that 45 dBA one-hour maximum  
23 results in 10 to 15 percent of the population that's  
24 exposed to those levels being highly annoyed, and  
25 that under the proposed rule the 35 dBA, 2.5 percent

1 would be highly annoyed. And under 42 percent -- or  
2 42 dBA six to nine percent would be highly annoyed, I  
3 would propose that the current PSB precedent does, in  
4 fact, protect against average people -- the average  
5 person being shocked and offended per the Act 250  
6 framework, and also that the current -- therefore the  
7 current PSB precedent protects against undue adverse  
8 impacts on aesthetics. Again, that's per the Act 250  
9 framework.

10 CHAIRMAN VOLZ: And when you refer to  
11 current PSB precedent, you're not referring to the  
12 draft rule. You're referring to earlier decisions?

13 MR. DUNCAN: Yeah. I'm referring to 45  
14 dBA limit exterior one-hour maximum.

15 CHAIRMAN VOLZ: All right.

16 MR. DUNCAN: So that's probably at  
17 least 50 percent of the talk there. So I think we  
18 are doing pretty good on time.

19 I would like to address outdoor to  
20 indoor attenuation. You know, in previous cases  
21 there's been an indoor limit. The proposed rule  
22 doesn't have that. So to the extent that that has  
23 any role in the development of the draft rule, I  
24 think it would be good to touch on that.

25 So the current PSB precedent is based

1 on 45 dBA outdoors, and that's so that we have 30 dBA  
2 indoors. That is assuming that we get a 15 decibel  
3 reduction in attenuation with windows partially open.  
4 We have two tests though -- that's what the World  
5 Health Organization uses in terms of their  
6 assumption. We have two tests in Vermont that we can  
7 point to though. In Sheffield we have a test that  
8 was done that resulted in less than five decibels of  
9 attenuation with the windows open. In that case we  
10 had large windows that encompassed a good portion of  
11 the wall surface area, and the panes were also able  
12 to rotate perpendicular to the site so they are  
13 essentially more open than a regular window would be.

14 In Georgia we also had another test  
15 that was done, and that test resulted in 15 decibels  
16 of attenuation with the windows open with a standard  
17 sized window. Those are only two data points.

18 CHAIRMAN VOLZ: Does Georgia refer to  
19 the Georgia wind project here in Vermont?

20 MR. DUNCAN: Yeah. The Georgia  
21 Mountain Wind Farm, Fitzgerald residence. This is  
22 information that's been previously submitted to the  
23 Board in other cases.

24 MS. HOFMANN: What is a standard size  
25 window?

1 MR. DUNCAN: A standard size window is  
2 I believe two square feet open. Two to three square  
3 feet open. So given that those are only two data  
4 points, I wanted to take a look at some additional  
5 data points that the Board may find useful. There is  
6 two studies that were done in the U.K. So it's not  
7 exactly the same climate as Vermont, but it's in the  
8 northern hemisphere and, you know, they get cold  
9 weather too. It might not be exactly the same.

10 In those studies they saw reductions, a  
11 range of reductions, outdoor to indoor with windows  
12 open of 7 to 26 decibels. So that's a big range, but  
13 they tested a lot of residences. Most of the values  
14 in that study were between 10 and 17 decibels in  
15 terms of their reduction. What that didn't look at  
16 though was the specific wind turbine acoustics  
17 spectrum that we see typically from wind turbines.

18 So what we did at RSG is we took the  
19 attenuation values at each frequency from that study,  
20 and applied it to a wind turbine spectrum. And in  
21 doing so, we found that the worst case attenuation  
22 with the windows open from that study was 14 decibels  
23 and the best case was 18 decibels. Hayes & McKenzie  
24 in 2006 also had another study from the U.K. And in  
25 that one, they only tested -- it only offers one

1 additional data point. They tested one window open  
2 compared to a bunch that were closed. In that study  
3 they had a 10-decibel reduction with the windows  
4 open.

5 The EPA -- these are not necessarily  
6 specific measurements, but the EPA uses a 12-decibel  
7 reduction for warm climates and 17 decibel reduction  
8 for cold climates with the windows open. And that's  
9 assuming, you know, that cold climates will have  
10 additional insulation in the outer shell of the  
11 building, and that provides some additional  
12 acoustical benefit. The FHWA uses a 10-decibel  
13 reduction for windows open for all climates. So I  
14 just thought it would be helpful to the Board to have  
15 multiple data points to look at when they are looking  
16 at indoor to outdoor attenuation. So while five dB  
17 or less of attenuation is possible, it's one data  
18 point that we have currently. Reductions between 10  
19 and 15 are more common, and in some cases attenuation  
20 values upwards of 20 or more with windows open is  
21 possible. It will just depend on the window size,  
22 how they are opened, the bedroom, the orientation to  
23 a project, things like that. With the windows closed  
24 the attenuation goes up to 25 dB or higher.

25 So I'm nearing the end. I've got two

1 more topics here. One is noise reduced operations,  
2 and then the context of the current rule with the  
3 proposed rule. So noise reduced operations. The  
4 proposed rule limits sound levels during the day to  
5 42 dBA and 35 dBA at night. I believe Ms. Anderson  
6 had testified earlier from REV that a project is  
7 designed to the quietest level, and that's been our  
8 experience as well. In the 80 projects that we have  
9 worked on across the country, that you have to design  
10 to the quietest level because if you can't meet the  
11 quietest level, you don't have a project.

12 So the way -- one of the ways that you  
13 are able to, if you have two different standards by  
14 time of day, that you're able to actually turn the  
15 sound level up or down is using NRO. Most of the  
16 sound produced by wind turbines is aerodynamic. It  
17 comes from the blades. There is also some sound from  
18 mechanical noise in the nacelle. This is, for the  
19 most part, in modern turbines has been mitigated.  
20 And so we are mostly talking about aerodynamic noise.  
21 The NRO is not really affecting mechanical noise in  
22 the hub. It's mostly aerodynamic noise.

23 So when a developer is designing a  
24 project, they design to the most stringent limit, and  
25 they have some tools to use when they are doing that.

1 They can look at the actual turbine array and the  
2 layout of where they are locating turbines. They can  
3 look at the turbine models that they are considering  
4 to install which will have varying sound power  
5 levels. Generally speaking, those two things are  
6 influenced by a number of other factors though  
7 including what the wind resource is in the area and  
8 project finances.

9 So the tool that they have to either  
10 turn the sound level up or down is NRO. They could  
11 also shut down turbines, but oftentimes -- and this  
12 is only my experience from speaking with developers,  
13 oftentimes that is something when we suggest  
14 shutdowns, that is something that is not possible.  
15 They have to look at another turbine, or they don't  
16 have a project, or something like that. A shutdown  
17 is often something that's not desirable. That's not  
18 to say it doesn't happen.

19 When I'm designing a project if it's  
20 not meeting a limit, I go through and I say during  
21 these conditions this turbine needs to be under this  
22 NRO, this NRO, that NRO, and this turbine needs to be  
23 shut down. And then they often will decide if they  
24 want to shut down that turbine or not or remove that  
25 turbine from the project.

1                   So the way NRO works, we talked about  
2                   this briefly. Essentially the blades are pitched.  
3                   RPM's go down, but what I do want to touch on is this  
4                   is a software driven process. This is not someone in  
5                   a control center flipping a switch that turbine three  
6                   should be turned down two decibels. It's something  
7                   that we predict ahead of time. We know that turbine  
8                   X should be turned down by five decibels or two  
9                   decibels when winds are from the east, so we can  
10                  program it so that it varies by time of day, wind  
11                  direction, wind speed. And these protocols are  
12                  developed and implemented into the software that's  
13                  running the actual project.

14                 CHAIRMAN VOLZ: So it happens  
15                 automatically though?

16                 MR. DUNCAN: It happens automatically.  
17                 I don't know if there are turbines that are manual,  
18                 but all of the ones that I'm -- all the projects I'm  
19                 involved in it's an automatic process.

20                 CHAIRMAN VOLZ: Can it be adjusted over  
21                 time? In other words, you set it up one day based on  
22                 the information that you have, and then you discover  
23                 that in fact it's -- there is still a problem, and so  
24                 you could then adjust it to -- make adjustments to  
25                 the way the software dispatches the turbine?



1 MR. DUNCAN: Yes. It's difficult to  
2 adjust it immediately.

3 CHAIRMAN VOLZ: Right.

4 MR. DUNCAN: If there is a compliance  
5 issue and it's determined that three turbines need  
6 some sort of NRO that don't currently have it, that  
7 software can be redone, so they do do that.

8 CHAIRMAN VOLZ: Okay.

9 MR. DUNCAN: The one exception to that  
10 would be that's provided that that turbine has head  
11 room in the NRO protocols to do that. So if you're  
12 already at maximum NRO, you might not be able to  
13 further reduce it.

14 CHAIRMAN VOLZ: Okay.

15 MR. DUNCAN: And that's actually what  
16 I'm getting to next. There is limits to the  
17 usefulness of this function. So NRO typically will  
18 get us one to three decibels for per turbine. It is  
19 possible to get four. And I know of one manufacturer  
20 where we can get five. Only one manufacturer, not  
21 just a manufacturer, one model from one manufacturer  
22 where we can get five. One to two is most common.  
23 One to three is most common. And one to two does  
24 result in a moderate power loss. Three to four is  
25 possible. But it results in higher power losses

1 which will start to affect the economics. But it's  
2 still not a shutdown.

3 So the proposed rule there is a seven  
4 decibel difference between 42 dBA day and 35 dBA  
5 night. So the issue is if NRO is the primary tool  
6 that a developer is using to turn the sound level up  
7 or down, it's effectively -- the proposal is  
8 effectively a 35 dBA nighttime limit and a 39 dBA  
9 daytime limit, provided that they are not shutting  
10 them down, that they are using NRO as that tool to do  
11 it.

12 So developers have tools to reduce  
13 sound emissions from wind turbines, but there are  
14 limits to the range of reductions that are  
15 achievable. And I would recommend that if the Board  
16 is specifying different limits by time of day, that  
17 those limits range four decibels or so. If it's not,  
18 that's fine. But recognize that if it's more than  
19 that four decibels, then there is still an effective  
20 limit of those four decibels in the development of a  
21 project.

22 CHAIRMAN VOLZ: So they would build to  
23 the low plus maybe up to four above that.

24 MR. DUNCAN: Yeah.

25 CHAIRMAN VOLZ: Questions until the end

1 unless it's clarifying. Okay.

2 MR. DUNCAN: So that's that section.  
3 On to the last section here. And I think we are  
4 ahead of time. You can tell me. But --

5 CHAIRMAN VOLZ: Yes.

6 MR. DUNCAN: So the PSB precedent and  
7 the proposed rule more of an acoustical context for  
8 this. From previous testimonies and presentations I  
9 haven't talked about health impacts in this study.  
10 I'm relying on previous submissions for that, and if  
11 we need to, we will submit more information by the  
12 deadline. But I would say that from previous  
13 submissions on this, the current precedent of 45 dBA  
14 one-hour maximum guards against public health  
15 impacts. That's the same limit that's used in  
16 Kingdom Community Wind, Georgia Community Wind and  
17 Deerfield Wind.

18 I'm only speaking to the projects that  
19 RSG has experience with, direct experience with. The  
20 proposed rule of 35 dBA nighttime and 42 dBA  
21 nighttime goes, I think, beyond public health issues.  
22 And so that's partly why I wanted to talk about  
23 aesthetics and indoor-outdoor attenuation values and  
24 things like that.

25 The effective limit is lower than

1 what's proposed. That is, the effective limit is  
2 really 35 and 39 or 40 based off of the NRO  
3 discussion that we just had. I would offer that the  
4 effective limit is actually even lower than those.  
5 And the reason for that is that the proposed rule  
6 under 705 requires accounting for potential model  
7 error in the source emission values for  
8 preconstruction modeling. So the actual limits are  
9 lower than 35 to 40 depending on what that model  
10 error is that we need to take into account.

11 I haven't prepared to talk in detail  
12 about model accuracy today. I know there was some  
13 discussion of that earlier in the day. RSG will be  
14 submitting some information to the Board addressing  
15 comments earlier today about the adequacy and the --  
16 essentially the different parameters used in ISO  
17 9613-2 and what's accurate. What I would offer is  
18 that while the standard itself has language in there  
19 about accuracy and also about what it's used for,  
20 whether or not it's valid for high source or a low  
21 source, I would offer that there have been many  
22 studies that are wind turbine specific looking at the  
23 accuracy and the validation of ISO 9613-2. And RSG  
24 is prepared to submit those studies to the Board so  
25 that you can review it and see that ISO 9613-2 is

1 essentially the best tool that we have to use. It's  
2 -- we don't have one that's specific to wind turbine  
3 noise in the U.S. It's used worldwide, and we have  
4 shown it to be accurate if you use the right modeling  
5 parameters. So we will provide studies that talk  
6 about what those modeling parameters are.

7 I think the Board is very close to that  
8 0.5 ground attenuation, four meter height, things  
9 like that. I think that's all fine, and you'll see  
10 that in the submissions that we give to the Board.

11 So a few closing thoughts. The first  
12 is that under the proposed rule, projects like  
13 Kingdom Community Wind which have produced over 700  
14 megawatthours of power to the grid would not have  
15 been built. I'm not the developer of that project.  
16 So I can't say that definitively. But I know from  
17 doing the modeling and doing the monitoring at those  
18 projects, that it would have been extremely difficult  
19 to meet the proposed rule at Kingdom Community Wind,  
20 Deerfield Wind, the other projects that have --  
21 currently have a 45 decibel limit applied to them.

22 I would offer that compliance  
23 monitoring must account for background sound levels.  
24 From a cost perspective it -- using the Maine  
25 methodology, is it any better? And also from an

1 accuracy method, you have to account for background  
2 sound levels. And there is really no clear or more  
3 definitive way than shutting down the turbine and  
4 seeing what the background sound levels are like.

5 The current PSB precedent of 45 dBA  
6 one-hour maximum does protect against public health  
7 impacts, I think, from looking at the research. And  
8 also undue adverse impact on aesthetics per the Act  
9 250 framework. That is that the 45 dBA one-hour  
10 maximum does not result in the average person being  
11 shocked or offended.

12 And then lastly, if a different limit  
13 was needed for aesthetics, I would suggest  
14 considering an evening limit between 5 and 9 p.m.,  
15 if a lower limit was needed by time of day when  
16 people may be outside spending time. And that's  
17 supported by the research that says a noise happens  
18 when people are outside, not in the middle of the  
19 night, although people can hike in the middle of the  
20 night, but it's not as common of a thing.

21 And with that, that's all I have in  
22 terms of a presentation. I addressed model receiver  
23 height question, but I'm happy to take more questions  
24 on that. As I mentioned, I'll submit more  
25 information on model verification and accuracy.

1 CHAIRMAN VOLZ: Okay. Do you have  
2 questions?

3 MR. KNAUER: You had one graph I think  
4 based on the study that your colleague Mr. Kaliski  
5 did about noise annoyance, and there were several  
6 lines -- page 21.

7 MR. DUNCAN: Yes.

8 MR. KNAUER: And some of the lines  
9 referring to outdoors and some to indoors. Was that  
10 based on attenuation, or there was actual  
11 measurements indoor and outdoor locations?

12 MR. DUNCAN: That's a great question.  
13 And I will get you an answer. I don't know. That's  
14 from the Michaud and -- it's from the Health Canada  
15 and Swedish and Dutch study. They looked at indoor  
16 values as well, but I don't know exactly how they did  
17 that. I will look into that and find out.

18 MR. KNAUER: That will be helpful so  
19 the Board can place this into context.

20 Another question, you opined that using  
21 the shutdown method is a preferable method for  
22 establishing background. Are you aware of any  
23 jurisdictions that use a shutdown method to develop a  
24 background and use that as a proxy, say we assume at  
25 location X the background is always going to be

1 whatever is measured using one shutdown period. So  
2 that, you know, say we are doing five different  
3 compliance testing over the life of a project, you  
4 don't have to do the shutdown every time.

5 MR. DUNCAN: Yeah. I can't point to a  
6 specific case, but I believe that that is something  
7 that is done in Canada in some jurisdictions. That  
8 shutdown period that we are referring to though in  
9 that case is usually over a longer term. So it's --  
10 the project is in place and maybe it's  
11 preconstruction, I'm not sure, but you're measuring  
12 background sound levels over a longer term at the  
13 exact locations that you'll be doing compliance  
14 monitoring, and then that would fix what the  
15 background sound level is.

16 There are potential issues with that  
17 because these projects are installed for years, and  
18 background sound levels will change over time as the  
19 landscape potentially changes, but I believe that  
20 sort of methodology is used in some jurisdictions in  
21 Canada.

22 MS. HOFMANN: Tom, can I ask a follow-  
23 up question? One of my questions was about the  
24 shutdown method. Assuming the facility is already  
25 built, how long are these periods where you have to



1 shut down the turbines?

2 MR. DUNCAN: Yeah, we have typically  
3 shut down for 20 minutes to a half hour. There is  
4 some lag time, so when you're looking at these graphs  
5 of when the operation is running, you're seeing -- if  
6 you have a low background sound level on high  
7 operational sound levels, you'll see the wind turbine  
8 sound level, and this slow decline, and then clearly  
9 background, and then a slow incline until you get  
10 back up to full operation. But typically we  
11 recommend 20 to 30 minutes for shutdown period.

12 MR. KNAUER: I'm all set.

13 MR. COTTER: Just a clarification  
14 question. With respect to -- you had mentioned model  
15 uncertainty and accounting for that. And every time  
16 I see a reference to uncertainty, whether it's with  
17 the model or the manufacturer's rated sound power  
18 level, it always says -- I'll just use three decibels  
19 in the example -- it always says plus or minus three  
20 decibels. And when you account for that in the  
21 model, are you always adding three decibels to the  
22 output? So in other words, it will always --  
23 probably using the wrong words here -- when you  
24 account for uncertainty, you're always increasing the  
25 output of the model. You're never going to get a

1 decrease.

2 MR. DUNCAN: That's correct, yeah.  
3 When we are entering in -- the uncertainty into a  
4 model, we are entering in the plus value of whatever  
5 the turbine manufacturer has said the uncertainty is.  
6 We don't typically enter in the uncertainty of the  
7 model itself. That's a separate uncertainty. And  
8 the reason for that is that we have done -- and we  
9 have conducted research, and we have also reviewed  
10 research that says what metrics provide the most  
11 accurate results in the model. And we are normally  
12 selecting the parameters like G equals 0.5 under  
13 certain conditions that are above the -- essentially  
14 the best fit curve that's above all the data points.  
15 That's usually how we are doing it. So we are  
16 already selecting conservative parameters for the  
17 model. We don't need to take into account an  
18 additional model uncertainty.

19 MR. COTTER: Okay. Thank you.

20 MS. HOFMANN: You were talking about in  
21 Maine that there is a fixed monitoring location in  
22 one of your two examples. I was a little curious  
23 about that. You said it was in concrete or  
24 something. You made it sound very permanent. And  
25 why did they do that?

1 MR. DUNCAN: Yeah. So this is before a  
2 lot of the current rulemaking in the state of Maine  
3 or kind of in the midst of all the rulemaking that  
4 had happened. And so, you know, the decision from  
5 the Board was different from project to project. And  
6 on this project, they said let's install a permanent  
7 monitor so we can see what the sound levels are like  
8 from this thing. And they required it on this one  
9 project. It's a permanent sound monitor in the  
10 middle of the forest, trees had to be cut down in  
11 order to install it there so we have an open yard.  
12 So it's not immediately next to trees. And also so  
13 that we get sunlight for the batteries because the  
14 batteries are run off solar power. And it's not  
15 uncommon, but sometimes it does die in the middle of  
16 winter, because we will get snow buildup on the  
17 solar, and it won't get enough power, and we will  
18 have to go out there and fix it. But it's a concrete  
19 pad, a 10-meter high mast, and a permanent sound  
20 monitor. Expensive thing, but it was required for  
21 one project.

22 MS. HOFMANN: Does it have benefits in  
23 terms of the amount -- the amount of data you're  
24 getting?

25 MR. DUNCAN: You know, I think if it

1 was -- I think if you had multiple continuous  
2 monitors, there would be more benefits. But that's  
3 one location. And so what we have seen is that it's  
4 essentially the same thing as us going out, setting  
5 up a long-term monitor for two weeks and analyzing  
6 that data except that we have a year's worth of data  
7 to analyze.

8 MS. HOFMANN: Okay. And my last  
9 question is you said other states don't look at  
10 aesthetics when it comes to sound. You did  
11 distinguish between aesthetics and annoyance. Do  
12 other states look at annoyance?

13 MR. DUNCAN: That's a good question.  
14 I'm not aware of any regulations that specifically  
15 look at annoyance. But oftentimes, and you'll figure  
16 this out with writing this rule, you don't put the  
17 reason that you set that level necessarily in the  
18 rule; right? And so some of the limits from state to  
19 state may be based on annoyance without explicitly  
20 stating that they are based on annoyance.

21 MS. HOFMANN: Thank you.

22 MR. FINK: I had a clarifying question.  
23 Towards the beginning of your presentation you made a  
24 recommendation that you should modify the  
25 preconstruction sound model based on the monitoring

1 results. And there is some language in the proposed  
2 rule that would require that, and I wanted to  
3 understand whether your recommendation was simply  
4 that we retain that, or whether you had changes that  
5 you would recommend to that language.

6 MR. DUNCAN: I don't recall that  
7 language in the proposed rule, so if that's there, I  
8 suspect it's covering what my recommendation is. I  
9 remember it being recommended by other parties in  
10 earlier workshops. And I essentially wanted to  
11 second that recommendation from earlier workshops.

12 MR. FINK: Okay. And if you are  
13 interested, you don't have to take a look at it now,  
14 but you can address it in your final comments. It's  
15 5.706C of the proposed rule.

16 MR. DUNCAN: Great. Thank you.

17 MR. FINK: Turning to the studies you  
18 talked about with the dose response relationship for  
19 annoyance. I was interested how those studies  
20 account for -- or what their setting is in terms of  
21 background sound with the understanding that dose  
22 response relationship may vary in areas of high or  
23 low background sound.

24 MR. DUNCAN: Yeah. So the sound levels  
25 that are presented here are the sound levels

1           attributable only to the wind turbine development  
2           itself.  If background sound levels are higher or  
3           lower, that may affect annoyance, but most annoyance  
4           studies are assuming that there is a dominant source  
5           that's causing that annoyance.  Specifically how  
6           these three sets of tests were done in terms of  
7           accounting for background sound levels, I can't speak  
8           to today.  But I can certainly look that up and  
9           provide information on that.

10                   MR. FINK:  And so in that vein, I would  
11           be interested in knowing whether they are, say, in an  
12           environment where a typical background sound level  
13           may be in the high 20s, low 30s dBA, or may be in the  
14           mid to upper 40s.  You know, I could imagine that  
15           that may have a significant impact on the degree to  
16           which people are annoyed.

17                   So it would be interesting to  
18           understand that.

19                   MR. DUNCAN:  So that would be what's  
20           the background sound levels and the site-specific  
21           studies done for these sites.  I do know the one  
22           study is Health Canada which is a variety of sites  
23           across Canada, so the background sounds are going to  
24           vary across the study.  The curve is based off of all  
25           of those sites; right?  But I can look into what is

1 done for the Dutch and the Swedish sites and the  
2 Japanese study as well.

3 MR. FINK: That would be helpful.  
4 Thank you. That's all I have.

5 CHAIRMAN VOLZ: Questions? Yes.

6 MS. CAMPBELL ANDERSON: Could you go  
7 back to when you were talking about the NRO  
8 capabilities --

9 MR. DUNCAN: Yes.

10 MS. CAMPBELL ANDERSON: -- of the  
11 turbines. You said there was only one turbine on the  
12 market that could do a four decibel swing shall we  
13 say. Is that what you were saying?

14 MR. DUNCAN: I said there was one that  
15 I'm aware of that could do a five decibel swing. I  
16 think there are more that can do four, but it's still  
17 not entirely common among all manufacturers.

18 MS. CAMPBELL ANDERSON: Okay. REV  
19 would be concerned that if the decibel swing was too  
20 loud, that projects would be limited. You would end  
21 up forcing use of a turbine that may or may not be  
22 suitable for Vermont's environmental conditions and  
23 also could -- would likely be -- are these more  
24 expensive? The ones that have that larger capability  
25 do you know what -- I'll look into that.

1 MR. DUNCAN: That's not my area.

2 MS. CAMPBELL ANDERSON: So just -- we  
3 will perhaps comment on that, and keep into  
4 consideration that if there is only limited  
5 individual manufacturers or specific model types that  
6 could meet that level of swing, it may be fairly  
7 restrictive compared to a two or three-decibel swing.

8 CHAIRMAN VOLZ: Yes.

9 MR. DAY: I want to correct my previous  
10 statement on NRO for the small turbines. What I  
11 meant is what he said. They are not capable of  
12 adjusting pitch. I do believe they can shut down.  
13 And --

14 CHAIRMAN VOLZ: So by shut down, you  
15 mean stop spinning?

16 MR. DAY: Yeah. I believe they are  
17 small enough that their dump loads will bring them to  
18 a stop.

19 CHAIRMAN VOLZ: Okay.

20 MR. DAY: Okay. So --

21 MS. HOFMANN: Thank you.

22 MR. DAY: I just realized that was  
23 wrong.

24 MS. CHENEY: I was inferring from  
25 something that was said earlier that these smaller



1 ones can actually keep spinning just from the wind  
2 the way -- old fashioned ones.

3 MR. DAY: Some are very, very old and  
4 people don't even buy them anymore. So I'm not  
5 familiar with those. I know that the Bergey I  
6 believe has the dump load, will bring the blades to a  
7 halt. I think the Sky Stream will do the same. The  
8 only way that they will keep on turning is it's kind  
9 of like in -- I think the Bergey kind of folds  
10 sideways, so it might turn a little bit. But in  
11 general, I think it is possible that you can -- there  
12 is a switch which is manual. I believe, you would  
13 have to put some sort of program on it, that it will  
14 take the grid, take it off the grid, and put the dump  
15 load on and bring them to a stop.

16 Okay. So but they don't have the  
17 ability to change RPM.

18 MR. DUNCAN: I would ask the Board to  
19 consider any of the information that I presented in  
20 terms -- and in the light of large wind turbines not  
21 small wind turbines. I haven't really taken that  
22 into account in this information.

23 CHAIRMAN VOLZ: Mr. Ambrose.

24 MR. AMBROSE: Yes. Eddie, you showed  
25 two Maine sites. Can you identify those sites?

1 MR. DUNCAN: I may be able to. I'll  
2 check. And if I can, I will submit that to the  
3 Board. The one site I can say specifically because  
4 it's in the public record, the site that has  
5 permanent monitoring at it is Spruce Mountain.

6 MR. AMBROSE: Okay. I've got a number  
7 of questions. It's just so difficult, wind turbines  
8 have the tightest hold on data sites. I just -- it's  
9 amazing. I've worked with all kinds of noise sources  
10 in my 40 years, and I've never had such a tight hold  
11 on critical information.

12 I've got a question. You treat daytime  
13 noise from a wind turbine the same as nighttime  
14 noise. Is there a difference atmospherically between  
15 daytime and nighttime?

16 MR. DUNCAN: Atmospherically the sound  
17 level, or excuse me, atmospherically it's not  
18 strictly a daytime-nighttime; right? Atmospheric  
19 conditions change all the time. So sometimes  
20 nighttime will be different. Sometimes daytime will  
21 be different. I'm recognizing that the atmosphere is  
22 different from time of day.

23 MR. AMBROSE: Layering thermal  
24 inversion. Is it critical? This is why nighttime  
25 you hear that distant train is because the cool air

1 is on the ground, and during the daytime you don't  
2 hear that distant train because the cool air is aloft  
3 and the sound refracts up into the cooler air.

4 MR. DUNCAN: Yes. I understand how  
5 sound propagation works, and that based on  
6 temperature inversion it bends downward and it can  
7 also bend upward. I would add that in answering your  
8 question, I am not confirming the assertion that we  
9 treat daytime different than nighttime. I'm not  
10 exactly sure how you're referring to that, but I'm  
11 not accepting that assertion.

12 MR. AMBROSE: Well a wind turbine is a  
13 24-hour noise source. Therefore, the critical time  
14 is the 35 dBA at nighttime it has to meet that  
15 criteria. And the other is, can you name a nighttime  
16 bird call that needs to be removed from the data?

17 MR. DUNCAN: I would offer that that  
18 question is irrelevant and --

19 MR. AMBROSE: You used it in your data.

20 MR. DUNCAN: That is false. I did not  
21 speak to nighttime bird calls. I spoke to bird calls  
22 in general being removed from the data. And  
23 specifically the definition from daytime and  
24 nighttime includes sunrise and sunset, and the time  
25 in which birds are most active in terms of bird call

1 is sunrise and sunset.

2 MR. AMBROSE: Okay. ANSI allows for --  
3 American National Standards Institute -- a proxy  
4 measurement. Yet you say, no, that's not good. ANSI  
5 approach is not relevant for wind turbines.

6 MR. DUNCAN: Just a clarifying  
7 question. By proxy measurement, you're saying that  
8 you have a distant monitor measuring background sound  
9 levels and a closer monitor measuring operational  
10 sound levels. Is that what you mean?

11 MR. AMBROSE: No. Your noise source is  
12 operating. And you need to find a location where  
13 that noise source is not audible that's equivalent to  
14 it. That's called a proxy location.

15 MR. DUNCAN: Yes. That's what I was --  
16 wanting clarification as to what you meant. I did  
17 not say that it's not adequate for wind turbine  
18 acoustics. I did say that it's not adequate for the  
19 northeast when you're dealing with heterogenous  
20 landscapes and mountainous and hilly terrain. That  
21 method works very well in the midwest when you have  
22 homogeneous landscapes where you have crops and flat  
23 terrain, and you can go two miles down the road,  
24 similar traffic patterns, and you're getting similar  
25 background sound levels. But that does not work in

1 the northeast.

2 MR. AMBROSE: Okay. So you're talking  
3 about that. I'll end up asking, is the atmosphere  
4 homogeneous at night?

5 MR. DUNCAN: No.

6 MR. AMBROSE: Okay. Then you're open  
7 to all kinds of errors due to the atmospheric. And  
8 you were talking about your model, you've taken your  
9 model, and you've compared it to your measurements.  
10 When I have done that, we would end up applying a  
11 model calibration or correction factor that was added  
12 on to measuring uncertainty and the prediction  
13 limitations of the model plus or minus three dB. So  
14 when you apply the two corrections for measurement  
15 uncertainty, and modeling uncertainty out to a  
16 thousand meters, that's it, that's all it's good for,  
17 where does your calibration correction get applied?

18 MR. DUNCAN: I'm not sure I understand  
19 the question.

20 MR. AMBROSE: Okay. I predict the  
21 sound level out to 500 feet. And it says I'm going  
22 to be measuring 48, or it predicts 48 dBA. And I go  
23 out and I measure 53. What do I do?

24 MR. DUNCAN: You get a model that  
25 accurately predicts the sound level.

1 MR. AMBROSE: Wait a minute. Wait a  
2 minute.

3 MR. DUNCAN: It's wrong.

4 MR. AMBROSE: Models -- I quoted the  
5 designer for CADNA who said that plus or minus three  
6 dB is the best we can do. That's it. He said we  
7 don't know the layer stratification on that. And  
8 that's out to a thousand meters and a 30-meter height  
9 differential.

10 This is where Vermont has failed. We  
11 have not applied a safety margin because Vermont is  
12 beyond the test parameters on flat ground, and we  
13 have distances that are greater than the model can  
14 predict accurately.

15 MR. DUNCAN: I would offer that I  
16 believe we do have a safety margin considered in the  
17 models. That is done through the selection of the  
18 parameters that we use in the model. We have looked  
19 at studies that look at a variety of distances out  
20 from wind farms based off of model data and monitored  
21 data, and the reason that those model parameters are  
22 set is those are the most conservative assumptions to  
23 over predict the actual measured levels from these  
24 projects. That is how we do our modeling. In the  
25 past if we have done anything differently, it would

1 be because those model parameters have been dictated  
2 to us by governing bodies that say you must use X  
3 modeling parameters.

4 CHAIRMAN VOLZ: Ms. Smith.

5 MS. SMITH: So who are you representing  
6 here today?

7 MR. DUNCAN: I'm representing RSG.

8 MS. SMITH: And so you have been  
9 working with Renewable Energy Vermont through -- for  
10 their presentation through VERA. And you've done the  
11 work on Georgia Mountain Wind and Lowell, Kingdom  
12 Community Wind, and your firm is engaged in Swanton  
13 Wind and Holland Wind. Or I forget, Dairy-Aire Wind.  
14 Is that true?

15 MR. DUNCAN: Yeah. We have a number of  
16 clients, and the ones that you mentioned are our  
17 clients.

18 MS. SMITH: So you have an economic  
19 interest in assuring that this standard that you're  
20 recommending that is the same that we have had stays  
21 in place so that your company can do more work.

22 MR. DUNCAN: Yes. But I would say that  
23 if the rule goes through as planned, at least in  
24 terms of the limit, and there is no further wind  
25 development in Vermont, that the amount of wind work

1 that we do in Vermont is such a minute part of our  
2 business. I'm here mostly because I'm interested in  
3 noise policy, that's why I did the master's degree  
4 that I did. I'm interested specifically in noise  
5 policy, and that it's done well, because it  
6 propagates -- Les can attest to this. Let me finish.  
7 Bad noise policy will propagate from one location to  
8 another as will good policy. But it just propagates  
9 everywhere.

10 So my interest is that I think there  
11 are things in the proposed rule that could be fixed  
12 and better improved which is why I'm here as RSG.

13 MS. SMITH: So now I want to ask about  
14 NRO mode as it was used at the Kingdom Community Wind  
15 Project, because as Chairman Volz just asked, it  
16 could be adjusted; right? And that was said during  
17 the technical hearings on that project, but when the  
18 project actually went into place, and the reports  
19 from RSG came in, it all showed that the half dozen  
20 turbines next to the Nelsons who were terribly harmed  
21 by that project, their health was damaged. None of  
22 those were ever in NRO mode, and nothing was ever  
23 adjusted. And they complained repeatedly.

24 And so when we hear that NRO mode can  
25 be adjusted, and it was promised it was going to be



1 adjusted, but every report came in and just said the  
2 same thing over and over again, it's hard to  
3 understand why NRO mode is being considered. So the  
4 other aspect -- thing I wanted to ask you about, you  
5 didn't mention the low frequency noise component of  
6 this at all, and during those other wind projects Ken  
7 Kaliski testified for RSG that infrasound was not a  
8 component of wind turbine noise. What is your  
9 company's current position on low frequency noise and  
10 infrasound as it relates to wind turbines?

11 MR. DUNCAN: By answering your  
12 question, you made a lot of assertions in there,  
13 statements, and by answering your question I want to  
14 say that I'm not accepting a lot of those assertions.  
15 But I will answer the question about low frequency  
16 sound and infrasound.

17 We know from the Massachusetts Clean  
18 Energy Center study which I think Howard may have  
19 presented a graphic earlier today from that study  
20 about infrasound. We know that wind turbines produce  
21 infrasound. And so we understand that. Our  
22 professional understanding though is that the  
23 infrasound that's produced by wind turbines is below  
24 audibility thresholds, and it also is significantly  
25 lower than so many other infrasound sources

1 throughout the world and in communities currently  
2 today, and people are not complaining about  
3 infrasound at those levels from those other sources.  
4 Infrasound from wind turbines is significantly less  
5 than that.

6 MS. SMITH: And low frequency noise?

7 MR. DUNCAN: It's all a spectrum, so do  
8 wind turbines produce low frequency noise? Yes. Do  
9 we measure it? Yes. Do we model it? Yes.

10 MS. SMITH: Should it be a component of  
11 the rule?

12 MR. DUNCAN: It is a component of the  
13 rule. It's included in the sound propagation  
14 modeling that we do. We have to model low frequency  
15 noise.

16 MS. SMITH: For compliance should there  
17 be a limit on it?

18 MR. DUNCAN: If the Board is interested  
19 in regulating low frequency noise, then I would  
20 recommend that they pick levels from frequency bands  
21 by octave bands, and regulate them based off of  
22 whatever the current scientific literature is on  
23 impacts of those frequency bands.

24 MS. SMITH: So you would support an LFN  
25 standard?

1 MR. DUNCAN: I don't think it's  
2 necessary. No.

3 MS. SMITH: One last question. You're  
4 aware that there are currently and have been dockets  
5 at the Board about Georgia Mountain Wind and noise  
6 complaints; is that right?

7 MR. DUNCAN: Yes.

8 MS. SMITH: Do you consider that a  
9 success of your company that this is -- has happened?  
10 Or what -- you know, we're kind of here because of  
11 RSG's testimony that's been accepted by the Board in  
12 Lowell and Georgia Mountain. So when we are trying  
13 to come up with something to improve on it, and  
14 you're recommending we stay with the same standards,  
15 how do you address that? Do you take any  
16 responsibility for the problems that have been --  
17 that's brought us here?

18 MR. DUNCAN: To be clear, I haven't  
19 recommended that we stay at the current standards. I  
20 have been very explicit about not saying what level  
21 we should be at. I think the Board should pick  
22 levels that reflect the current state of scientific  
23 literature and the values of Vermont. I've stated  
24 that from day one when the Board opened up workshops  
25 on this. So I'm not recommending that. I'm not

1 making a recommendation on that front. I've simply  
2 made observations that to the extent that they are  
3 looking at aesthetics or health impacts, if those are  
4 the values that they are trying to protect, then  
5 these are the levels that they should consider, or  
6 maybe the levels they are considering are too high or  
7 too low. That's what I've done in this case.

8 The question about the success of our  
9 firm, how I measure success I think is irrelevant to  
10 this. I'm not going to speak specifically to those  
11 dockets. I'm here to talk about the current standard  
12 for wind turbine acoustics.

13 MR. AMBROSE: I have one follow up, and  
14 going to bring in -- one of my last slides was the  
15 Danish has a low frequency noise standard. And since  
16 low frequency was talked here, Danish has the  
17 standard of summing the 10 hertz to 160 hertz, one  
18 third octaves, A-weighted, so you get the penalty of  
19 audibility of the ear, and that number is 20. So if  
20 you want to comply with the Danish low frequency  
21 noise standard, which is -- I recommend, the value is  
22 20. On the --

23 MS. SMITH: Interior.

24 MR. AMBROSE: For the low frequency,  
25 yes.

1 MS. SMITH: Indoors.

2 MR. AMBROSE: Yeah. I won't go  
3 indoors. I think it might be an outdoor standard.  
4 I'm not sure. But those low frequencies will  
5 penetrate and enter a house very easily. And when  
6 you see the variability of inside to outside, it  
7 depends on the area of the window and the acoustics  
8 signature that's outside. You have more high  
9 frequencies outside with an open window. You have  
10 more attenuation coming through the window than if  
11 you have rich in low frequency.

12 So when you see the variations 26 to 10  
13 or 10 to 26, frequency content of that makes a big  
14 difference. And I ended up doing the conservative  
15 approach where EPA says transportation at a distance  
16 low frequency about five dB entering a room. That's  
17 because the sound waves come in through the open  
18 window.

19 Now sound travels three dimensionally,  
20 but it comes in through the open window, and it has  
21 to fill that room. Now it has the ability to reflect  
22 off the walls, and now it's three dimensional again,  
23 and there is a six dB reduction, because it's --  
24 there are three axes present. So I think having a  
25 low frequency content is good. I still recommend

1 your 35; you're right on the money.

2 CHAIRMAN VOLZ: Yes.

3 MS. WOLFE: If I could just mention the  
4 Danish they did impose that limit, that's still in  
5 place. They also studied it after it was in place.  
6 And they found that the audible sound limit, the dBA  
7 limit, was actually the controlling factor, and that  
8 low frequency noise has stayed well below the low  
9 frequency limit just being governed by the audible  
10 limit.

11 CHAIRMAN VOLZ: Okay. We need to move  
12 -- keep moving. Should we go to the department next?  
13 I would just note that the resume that we got from  
14 Mr. Duncan mentions all of those, his previous work  
15 with those entities that you asked him about.

16 MS. SMITH: Thank you. And Swanton and  
17 the ones coming forward too.

18 CHAIRMAN VOLZ: I don't know if it  
19 mentions the ones coming forward, but it mentions all  
20 the ones you that mentioned that he did work for.

21 MS. SMITH: I just wanted to point out  
22 --

23 CHAIRMAN VOLZ: I appreciate your  
24 point. I just wanted to make sure that you knew that  
25 we had that information. Okay.

1 MR. KISICKI: Just by way of a very  
2 quick introduction, Mr. Ashtiani is on the phone  
3 right now, and I just wanted to give a brief  
4 introduction. I know we are running a little late,  
5 so I'll make it very brief.

6 The department filed comments,  
7 technical comments, on April 27. As part of those  
8 comments, Mr. Ashtiani, a retained outside expert  
9 from Aercoustics Engineering Limited, submitted a  
10 report outlining three major technical issues which  
11 will be discussed today. The first one being the  
12 proposed rule's lack of a methodology for determining  
13 background ambient noise levels. Second, the use of  
14 10-minute measurement intervals as opposed to shorter  
15 measurement intervals. And third, the proposed rules  
16 requirement that the loudest measurement intervals be  
17 used for compliance determinations.

18 Those three issues will be discussed in  
19 Mr. Ashtiani's presentation now, and I think probably  
20 the best thing to do is just to turn it over to him  
21 right now. He is in Rotterdam, and it's very late  
22 there, so I appreciate Mr. Ashtiani joining us at  
23 such a late hour. Are you there, Payam?

24 MR. ASHTIANI: I'm here. Can everybody  
25 hear me?

1                   CHAIRMAN VOLZ:  If you could speak up a  
2                   little bit.  We will try to turn you up.

3                   MR. ASHTIANI:  All right.  So let me  
4                   know at any point if it's difficult to hear me or the  
5                   call quality drops.

6                   CHAIRMAN VOLZ:  It's good right now, so  
7                   go ahead.

8                   MR. ASHTIANI:  All right.  So thanks  
9                   everybody for having me.  And thanks for the Board  
10                  and also the department for making the arrangements  
11                  for me to be able to call in.  It's evening here now.  
12                  I'm calling through the Internet, and I have slides,  
13                  so hopefully you guys have slides to look at while I  
14                  go through a very brief presentation.  I understand  
15                  that we are running a little bit late, so I'll try to  
16                  keep it short and hopefully allow for more time for  
17                  questions.  Again, interrupt and let me know if there  
18                  is something that you can't hear.

19                  CHAIRMAN VOLZ:  We are all set.  We  
20                  have your slides.  Go ahead.

21                  MR. ASHTIANI:  Perfect.  Okay.  So  
22                  going to slide number two.  It's just a quick  
23                  overview of the topics that I wanted to present to  
24                  the Board.  The main topics -- the main concern  
25                  really is the lack of provisions for having an



1 ambient correction to data collected as part of post-  
2 construction monitoring. There are other small  
3 aspects, but we feel that this is the main issue that  
4 can help alleviate a lot of the other portions or  
5 aspects of the proposed method.

6 So for that the topics that I would  
7 like to cover are, one, is the nature of ambient  
8 sound contamination, specifically transient ambient  
9 sounds, and what we will call persistent ambient  
10 sounds. And then we go through the effects of  
11 different ways of filtering measurement data.  
12 Potential for false exceedences and some  
13 conclusionary remarks.

14 Okay. So moving on to the topics. And  
15 this kind of follows the submission that we have  
16 made. So the first topic is transient noise  
17 contamination. Transient noise contamination refers  
18 to contamination of sound levels in the context of  
19 doing post-construction noise measurements from wind  
20 facilities. And the reason I've put this graph up  
21 and the slide will become evident pretty soon. But  
22 the lines that -- the light blue line and the dark  
23 blue line -- I'm not sure if you have color or black  
24 and white copies -- but one of them, the darker one,  
25 looks like stepped lines and more blocky, whereas the

1 light blue one would be levels that kind of spike up  
2 and down. The X axis is time. So you're going  
3 towards the right as time goes by, and the Y axis is  
4 the measured sound level at close to a residence in a  
5 rural environment not dissimilar to what you would  
6 expect in Vermont. And the blue line shows LEQ, so  
7 energy equivalent sound levels in one-minute  
8 intervals. And the dark blue line is the same  
9 overlaid but in 10-minute intervals.

10 And the purpose of this graph is really  
11 to show the effects of what a short-term transient  
12 event has on a 10-minute LEQ measurement.  
13 Essentially, because LEQ takes the energy average and  
14 energy is a logarithmically scaled phenomenon, if you  
15 take the overall energy of an interval and the order  
16 of magnitude of -- the order of magnitude of  
17 contaminating noise is such that even though it can  
18 be a relatively short event, it can actually affect  
19 the overall level pretty substantially.

20 And in the proposed rule there is --  
21 there doesn't seem to be a method to individually  
22 remove just those parts that, you know, one could  
23 assume is contaminated without having to remove the  
24 entire 10-minute interval. And so because of the  
25 sensitivity of the LEQ, you know, it could be that

1 you would get a lot of false readings that have some  
2 level of contamination from noise levels just because  
3 you're looking at things only in a 10-minute interval  
4 chunk. And so that's really a point of this graph.

5 And then the other aspect is that if  
6 you are -- if you're analyzing data that is in 10-  
7 minutes, it's relatively easy to take -- to find  
8 spikes in terms -- in time, and attribute them to  
9 contamination from analysis. For example, in about  
10 the middle of the graph there is two transient events  
11 that are pretty clear to be there even if you look at  
12 the 10-minute intervals, presumably you'll be able to  
13 exclude that in the analysis. But if you go further  
14 down, there are two or three intervals in which you  
15 have multiple contaminations, and if you're looking  
16 at data in one-minute intervals, you can see these  
17 are multiple contaminations, but if you're only  
18 looking at data in a 10-minute interval, it would  
19 seem as though the level is just constant and higher.  
20 So having data not be granular enough or the ability  
21 to remove parts of it, can lead to either having to  
22 throw out larger amounts of data in post-construction  
23 analysis, or leading to contaminated signal being  
24 included as part of non -- being assumed to be non  
25 contaminated.

1                   If I could go to the next slide.  
2                   That's slide number four. Now this is some  
3                   difference between what we call transient ambient  
4                   sounds to maybe a different category called  
5                   persistent ambient sounds. The whole point here is  
6                   there may be some sounds that are not transient in  
7                   nature and may stick around for awhile or be  
8                   correlated to some other conditions. And we can  
9                   separate those categorically from transient ones. A  
10                  couple of examples of this could be noise from insect  
11                  activity. That is basically constant. Now this can  
12                  easily be accounted for by looking at a frequency  
13                  content and recalculating your spectrum and taking  
14                  out the effect of insects. So it's definitely  
15                  achievable technically. It's just not clear if the  
16                  proposed method would allow for that kind of signal  
17                  conditioning, I suppose.

18                  And then the other example that I could  
19                  think about was if you have, especially in Vermont, a  
20                  ridgeline wind farm condition in which you've got a  
21                  house in a valley and turbines on top of the ridge as  
22                  well as a forested area. You could presumably have  
23                  situations in which the ground level wind speed could  
24                  be low enough where the microphone is, that it would  
25                  be a valid measurement from a wind speed perspective

1 as for the proposed methodology. However, you could  
2 have situations where the ambient noise could have a  
3 lot of vegetation noise in it that could be  
4 propagated from the wind speed at the hill or at the  
5 top of the ridge and the amount of vegetation noise  
6 that would come from there. It's not a guarantee,  
7 but it is a possibility.

8 And so having the avenue in the method  
9 or in the rule to be able to look at sounds like  
10 that, and to be able to do that kind of analysis, is  
11 probably beneficial. It's not to say that you would  
12 always need it, but the approach that we have taken  
13 is to assume that this proposed methodology is the  
14 law. And you cannot deviate from it from the way  
15 it's written. So these are two examples where having  
16 the ability to remove contaminating events and  
17 account for, or account for the level of  
18 contamination that they would present in a signal,  
19 would be highly desired.

20 Going to the next slide. This is now  
21 slide number five. It's titled filtering of  
22 measurement data. And as I mentioned, here's a real  
23 life example of sound measurements taken at a wind  
24 farm that is in a rural environment. And in this one  
25 ambient levels were able to be quantified by

1 conducting a shutdown method not dissimilar from what  
2 RSG presented. The data points are one-minute  
3 intervals, and the lighter one, and again I'm not  
4 sure if you have color or if it's black and white,  
5 but there are two bands, two horizontal bands of  
6 sound levels. And the X axis here is not time, but  
7 it's actually ground level wind speed. For it's  
8 always important when you look at ambient data to  
9 look at that data in the context of the wind speed  
10 near the microphone or at least in this case the 10  
11 meter height at the microphone location.

12 And you know, you can see that you've  
13 got the higher band which is the turbine plus ambient  
14 measurement scatter, and in the lower band which is  
15 just the ambient scatter. And you can see that  
16 short-term ambient events, you know, there is plenty  
17 of them that would significantly contaminate turbine  
18 noise if they were there. And it's not to say that,  
19 you know, that they are always there. Just that they  
20 are there often enough that there should be some  
21 method or ability to either remove them, or if it's  
22 not removable, to account for the difference between  
23 the on and off conditions so that ambient noise  
24 doesn't get counted as facility noise.

25 Next slide. The other thing we would

1 get into is the variation in ambient levels. One of  
2 the exercises that we undertook in reviewing the  
3 proposed methodology and the potential effects of not  
4 having an ambient correction, was to look at data  
5 sets that we have from Ontario where shutdown method  
6 is pretty well required, and look at just analyzing  
7 the ambient noise level. So we took three different  
8 sites, and we looked at just the ambient levels as  
9 compared to the proposed limit of 35 dBA. And so we  
10 can see from the first one that the first site on  
11 slide six we have only included data where the ground  
12 level wind speed has been below three meters a second  
13 to be in line with what the proposed methodology here  
14 is. And this happens to be a relatively quiet site,  
15 and you can see 20 decibels most of the time, but  
16 there is sometimes when -- even though the wind speed  
17 is very low, the ambient level is between 25 and 35 I  
18 would say.

19 This particular site wouldn't have that  
20 much of an issue because presumably when the level  
21 does go close to 30 or 35, you would be able to  
22 listen to it, identify it, and hopefully exclude it.  
23 It indicates that you would be able to assume this is  
24 coming from the facility. Again, these measurements  
25 are with no facility running. So there is no wind

1 turbine noise in any of this data.

2 On the next slide, slide number seven,  
3 that's a different site. Again, it's ambient noise.  
4 In this case you can see that it's actually a fair  
5 portion of the data would have instances of sound  
6 levels above 35 dBA. And so if the goal was to look  
7 at doing measurements to verify a facility noise of  
8 35 dBA or less, there is a reasonable expectation, I  
9 would say, of some contribution from a measured sound  
10 level that is actually not in the wind facility but  
11 just ambient noise variation.

12 If you can go to the next slide, that's  
13 the last example of the scatter, and again this is  
14 another site where sound level's actually very quiet  
15 when the wind speed, the ground level wind speed, is  
16 less than one meter a second. So it looks like it  
17 can go as low as 16 or 17 decibels which is not  
18 totally uncommon, and for rural environments anyway.  
19 And it does actually start to increase by the time  
20 you're at three meters a second, it's gone from 15 to  
21 25.

22 Now this could be due to local  
23 conditions of, you know, the vegetation or, you know,  
24 wind speed, wind direction, orientation of other  
25 sources. But there is a relationship with wind



1 speed. But even within that, there are times when  
2 the sound level does approach 35 decibels. And, of  
3 course, they are contaminating events obviously where  
4 the sound level's 50 or 55 decibels.

5 So the point of showing this  
6 information is not to guarantee that sound levels  
7 from ambient are always going to be much -- are  
8 always going to be low enough that you shouldn't  
9 expect any contamination. But it's just to give an  
10 idea of where, you know, what things could go wrong  
11 if the proposed methodology doesn't have the ability  
12 to remove ambient or at least account for ambient in  
13 some way.

14 Going to slide number nine. This is a  
15 sample data set. We took the one-minute samples that  
16 ambi lows ranging -- it might have been from one of  
17 the examples, but they ranged from low levels to mid  
18 and high levels. And we actually just took the 10-  
19 minute level for one of the nights.

20 And you can see in the X axis it goes  
21 from 2:30 a.m. to about 5 p.m. And the sound levels  
22 are tabulated in 10-minute LEQs, and you can see  
23 that, I'm sorry, the blue line which is just below 40  
24 decibels, it's actually the average -- the arithmetic  
25 average as required by the proposed methodology, it's

1 about 39 dBA or just about 40, I suppose.

2 And this is an example that if you are  
3 forced to take the top 12, then you're always forced  
4 to be looking at the levels that have the most  
5 potential for contamination. Again, this data  
6 actually doesn't include a wind farm in it. So  
7 presumably you would want this data to easily be  
8 below 35 or much below 35. And again, this is not to  
9 say that, you know, you can't have an option of  
10 continuing to measure until the levels do fall below  
11 35, but the difficulty here is if this was mixed with  
12 turbine noise, it would be much more complicated to  
13 be able to assess how contaminated the measure level  
14 is from ambient events.

15 And so going to the next slide number  
16 10. A very short conclusion that I wanted to make  
17 here are there is two real scenarios that I could  
18 foresee by rolling out this methodology. And in one  
19 scenario you could have measurements that are  
20 completed and show levels below 35 dBA with the wind  
21 turbines operational. And the result would be that  
22 the compliance would be confirmed. And it would be a  
23 very defensible conclusion, because even if there was  
24 ambient contamination, it would all be still below  
25 the limit.

1                   And the other scenario it would be one  
2 where say the measured levels showed that the levels  
3 are above 35 dBA, say 37. And obviously if the  
4 levels are much higher above 35 dBA, then the  
5 possibility for contamination is lower. But if they  
6 just missed the limit, the result of this kind of  
7 analysis would be that non compliance is confirmed,  
8 or at least I would presume that's the intended  
9 result.

10                   But the comments that I've included, I  
11 could see this being challenged in that the sound  
12 levels may be argued to include some contribution  
13 from ambient levels that would push the overall level  
14 above 35, and so if the sound level limit from the --  
15 just the wind turbine facility is 35, and this is the  
16 methodology in which measurements are conducted, then  
17 practically I could see this running into some  
18 challenges, and potentially some, you know, legal or  
19 other types of challenges, challenges of the results  
20 and of the conclusions.

21                   I think from a practical perspective,  
22 measurement periods could also be very long because  
23 for the department or for anyone who is intending on  
24 conducting these measurements and getting very  
25 reliable results, you would have to potentially spend

1 a long time finding ideal conditions that would both  
2 satisfy the data validity requirements so that you  
3 could say, for example, that the wind farm is  
4 operational, and the wind is downwind, and the  
5 background noise level is expected to be very low.  
6 It could either take very long, and I'm sure nobody  
7 is interested in having post-construction auditing  
8 take a really long time.

9 And so I think that those are things  
10 that really should be considered, not just in the  
11 context of how measurements are completed, but also  
12 in the context of what is the level that you're  
13 actually trying to test compliance against. If the  
14 sound pressure level limit was something much higher,  
15 then I could see this method, although it still might  
16 take a long time for you to get the right conditions,  
17 but at least I could see the method being much more  
18 defensible, because you would look for a time with  
19 low background.

20 All right. So that is my presentation.  
21 I figured I would make it hopefully short enough and  
22 sweet enough that we could leave time for questions  
23 or discussion. Thank you.

24 CHAIRMAN VOLZ: Thank you. Do we have  
25 questions up here?

1 MR. COTTER: Mr. Ashtiani, this is John  
2 Cotter from the Board. I was curious, one of the  
3 criticisms in the paper filing that you made had to  
4 do with the proposed rule's use of the 12 loudest  
5 measurement intervals to obtain the average. And I  
6 was curious, does that concern go away if the Board  
7 decides to take the approach where background sound  
8 is removed from the measurement?

9 MR. ASHTIANI: I would think that it  
10 would be mitigated to a certain extent, because the  
11 issue with the 12 loudest is that those are also the  
12 12 most likely to have some contamination. So if  
13 there is an ability to quantify what the ambient  
14 would be, and if it's not -- yeah, if it's quantified  
15 in pretty well the same manner, then that concern  
16 would be greatly mitigated.

17 MR. COTTER: Thank you.

18 MR. ASHTIANI: The only addition I  
19 would put in there then is there should be some level  
20 of data quality requirement in that if the signal-to-  
21 noise ratio is, for example, three decibels or more,  
22 then you can make an assessment. But if the signal-  
23 to-noise ratio is much smaller than that, it becomes  
24 again more difficult to know if the levels are due to  
25 random ambient noise or if they are related to the

1 wind turbines or at least what component of which is  
2 in each.

3 CHAIRMAN VOLZ: Any other questions?

4 MS. CHENEY: I have a question. Hi.  
5 This is Margaret Cheney on the Board. And you made  
6 it very clear that the 10-minute averaging is  
7 problematic in that it's more likely to be skewed by  
8 those random noise events.

9 Are you then advocating for the one-  
10 minute interval as a preferred substitute?

11 MR. ASHTIANI: What I would advocate is  
12 that if a 10-minute interval is desired, then the  
13 ability should be there to salvage parts of the data  
14 within 10 minutes, because 10 minutes is an awful lot  
15 of time, and there could be a lot of useful noise in  
16 there. So if it has to be in 10-minute chunks to  
17 have the ability to salvage part of it, or have a  
18 minimum part that is okay, and be able to reject the  
19 other part, or to take the total amount of minutes or  
20 time that was required for 12, 10-minute intervals  
21 and make those same amount of time requirement but  
22 with one-minute intervals.

23 MR. KISICKI: If I may build on that  
24 very quickly. The Department's draft rule that it  
25 submitted in November 16, 2016 contemplated the use

1 of one-minute measurement intervals as opposed to 10-  
2 minute intervals.

3 MR. FINK: Mr. Ashtiani, this is Kevin  
4 Fink with the Board. I wanted to follow up. I think  
5 I understand the second part of your answer which was  
6 that you were suggesting that essentially you would  
7 instead of using say 12, 10-minute intervals, you  
8 would use 120, one-minute intervals. The first part  
9 of your answer I'm trying to understand. Are you  
10 suggesting that you would use some sort of rolling  
11 10-minute structure, or you would exclude an  
12 individual one-minute unit in a 10-minute period? Or  
13 I'm not sure I understand how you would accomplish  
14 that mechanically.

15 MR. ASHTIANI: So my preference is for  
16 the 120, one-minute intervals, easily, because it's a  
17 lot cleaner. Because you are just looking at a one-  
18 minute interval and representing it as such. The  
19 reason I suggested the other method is similar to the  
20 ANSI standard where, for example, for an hourly LEQ  
21 their requirement is -- it should be at least 30  
22 minutes of uncontaminated data in there, so you could  
23 represent it as if it were an hourly LEQ, you could  
24 potentially take that same approach here. But, you  
25 know, if I had to choose between the two, I would

1 easily take the one-minute intervals times the total  
2 amount of time required to make -- that the data set  
3 full enough.

4 MR. FINK: So your suggestion would be  
5 if you had, you know, six or something one-minute  
6 intervals within 10 minutes, you could treat it as a  
7 valid 10-minute interval for purposes of using or  
8 calculating an average?

9 MR. ASHTIANI: Right.

10 MR. FINK: If one were to do it that  
11 way.

12 MR. ASHTIANI: Yeah.

13 MR. FINK: Okay.

14 CHAIRMAN VOLZ: Any other questions?  
15 Okay, so -- yes.

16 MR. LEWIS: Hi, Mr. Ashtiani. This is  
17 Sash Lewis from Dunkiel Saunders. I think you and I  
18 are acquainted.

19 What you said towards the end about the  
20 compliance methodology working better with a higher  
21 sound limit caught my ear. Is that because in your  
22 experience 35 dB is relatively close to ambient  
23 levels?

24 MR. ASHTIANI: Yes. Yeah. That's  
25 basically the reason, that if the sound level limit



1 was higher, the probability of having an ambient  
2 contamination increase the uncertainty is much less.  
3 So for example, in Maine, where a similar method is  
4 used, the sound level limit for nighttime is actually  
5 about seven dB higher than what's proposed here.

6 MR. LEWIS: So --

7 MR. ASHTIANI: So I could see it --

8 MR. LEWIS: Sorry. Please finish.

9 MR. ASHTIANI: Go ahead.

10 MR. LEWIS: So you also expressed a  
11 concern for having an adequate signal-to-noise ratio  
12 between turbines only and ambient levels. So I guess  
13 my question is, if there is a sound limit that is too  
14 close to ordinary ambient levels, is there any  
15 compliance methodology where you would not have  
16 concerns about signal to noise?

17 MR. ASHTIANI: Yes. If the levels are  
18 always going to be close to ambient, there are a  
19 couple of ways. First one is you could do what  
20 Europe does in that they measure the sound power  
21 level of the turbines, and they rely on the model to  
22 tell them what the sound level would be near the  
23 residence. And that is specifically to avoid this  
24 issue of having not enough signal-to-noise ratio to  
25 be able to be precise enough to make an assessment.

1                   The other is what they do sometimes  
2 actually in Germany in that they will measure much  
3 closer to the turbines or to the facility, and then  
4 do the same process by which they would use the model  
5 to calculate what it would be at someone's house.  
6 But in all those situations they are actually moving  
7 away from measuring at the house because of the  
8 uncertainty involved in determining what the exact  
9 level is.

10                   MR. LEWIS: So is it fair to say that  
11 if what Vermont wants to do is determine compliance  
12 through direct monitoring rather than through  
13 modeling, a level of 35 dBA doesn't set us up for  
14 easy compliance determinations in the future?

15                   MR. ASHTIANI: Yes. I would generally  
16 agree with that. The difficulty would be finding a  
17 time that would be both representative from the  
18 turbines being done and generating the amount of  
19 power required, but at the same time, having the  
20 ambient be quiet enough, and I have to assume that in  
21 rural Vermont it's not dissimilar than Ontario in  
22 that the sound levels will drop below 35. And you  
23 just have to look for those times when kind of all  
24 the situations align, and you can be sure that you're  
25 not having an ambient contamination.

1                   And so I don't think it would be easy,  
2 but not only that, even if it were easy, I think if  
3 the level was determined to be non compliant, it  
4 could put -- it could set Vermont up to be  
5 challenged, and that won't be an easy thing to  
6 refute.

7                   MR. LEWIS: Thank you very much.  
8 That's all I have.

9                   CHAIRMAN VOLZ: Yes. Go ahead.

10                  MR. AMBROSE: Mr. Ashtiani, my name is  
11 Steve Ambrose. And I have a hard time when we had  
12 determined compliance by not being present, not  
13 listening, not validating the measurement at the  
14 measurement time.

15                  Why is there such an aversion to  
16 witnessing a measurement as recommended in ANSI 12.9?

17                  MR. ASHTIANI: I would say that it's  
18 not -- it's not an aversion as much as it is a desire  
19 to have captured the right environment. We started  
20 measuring wind turbine noise more than a decade ago  
21 now, and that is exactly how we started measuring in  
22 that you would look at the forecast, and you would  
23 think it's going to be a good day or a good night to  
24 quantify the levels, and you drive out there, and you  
25 make a measurement, and you try to quantify what the

1 sound level would be. But it was through experience  
2 we found that the times when we would go there are  
3 what the acousticians normally hear from the  
4 residents is that you should have been here last  
5 night or three nights ago or whenever it was really,  
6 really bad. So it turned into going from what we  
7 thought was the most ideal time to measure to what  
8 the complainant thought was more -- most ideal time  
9 to measure, or maybe what from a sound impact  
10 perspective, what the worst time that needed to be  
11 captured.

12 So it became easier to leave equipment  
13 there that was sensitive enough and had the right  
14 meteorology to be able to isolate those times and  
15 verify them with audio tests, and then over time  
16 develop a methodology that actually fairly well  
17 limits the analysis to only those times when you  
18 should expect the sound level from the turbines to be  
19 maximum.

20 MR. AMBROSE: You mentioned audio  
21 tests. What do you mean by that?

22 MR. ASHTIANI: What I mean is that when  
23 we do post-construction measurements basically the  
24 standard measurement that we do now includes  
25 recording the audio on a continuous basis at the

1 sampling rate of between eight kilohertz and 25  
2 kilohertz. That's what I mean.

3 MR. AMBROSE: Okay. But are you using  
4 a mannequin, a dual microphone, so that you can get  
5 direction?

6 MR. ASHTIANI: No. What we use is  
7 typically an anemometer at the microphone location.  
8 So we were not getting like a sound intensity or a  
9 sound vector. Just a sound pressure level, but with  
10 an audio recording so you could listen to it but also  
11 with wind direction and ground level wind speed.

12 MR. AMBROSE: Right. But you know when  
13 people go out and listen, our instruments aren't as  
14 good as a human head with two ears and a brain. And  
15 the fact I go out there and I hear a sound, I can say  
16 well that's coming from that direction, that's where  
17 the wind turbine is. Yes, I do hear that wind  
18 turbine.

19 And my feeling is, and I know when wind  
20 is interfering with the measurement on the microphone  
21 because I monitor the microphone with a head phone.  
22 So I can hear the wind-on-microphone impacts where,  
23 yeah, that's a bad measurement.

24 MR. ASHTIANI: I don't doubt that being  
25 there is pretty helpful. The problem that we are

1 trying to overcome is not camping out there for four  
2 months and having a reasonable confidence still that  
3 the measurements that we are looking at, the overall  
4 levels that we are looking at, are predominantly from  
5 the facility not from ambient.

6 I agree though, when you're on site you  
7 can make much more observations on location of where  
8 the sound is coming from. But I would argue that for  
9 the analysis that we have done, we tend to find that  
10 when we do filter the data and we look at what's  
11 left, it's fairly clear that there is a decent amount  
12 of turbine noise in the signal that we ended up with.  
13 So you know, it could end up being, you know, last  
14 Tuesday at 2 a.m. But if you already have all the  
15 data there, you can quantify the overall sound level.

16 MR. AMBROSE: Because when Rob Rand and  
17 I went out and did the Bruce McPherson study, we were  
18 empowered to do it in December. And we had to wait  
19 until April until we saw the forecast was right for a  
20 front to come through the wind turbine site. So we  
21 drove four hours to get to the site, did our  
22 measurements, and we lived on site for three days and  
23 two nights, got our good measurements, and left. And  
24 it was a phenomenal experience.

25 And my feeling is I've always -- when

1 I'm trying to understand why a neighbor complains, I  
2 have to experience what the neighbor is, live as the  
3 neighbor. And this is what's bothered me, now that  
4 we have these automated instruments we lost that  
5 ability. And we have lost the ability to do an  
6 outright compliance test. It's always uncertain.

7 MR. ASHTIANI: Yeah. Again, I don't  
8 disagree with that being on site is definitely  
9 helpful. It's purely a result of the practicality of  
10 having to be at multiple locations at the same time.  
11 So, for example, you know, in Ontario or in Alberta,  
12 most of the time when post-construction commissioning  
13 measurements are required, they are required at  
14 multiple locations. And so if there are specific  
15 times and specific wind direction where you have to  
16 let's say be downwind, it's not going to be downwind  
17 from all the residents on the same night usually.  
18 And so even for one site out of many, then you would  
19 have to basically have a person whose only job is to  
20 be at one site because multiple sites will have  
21 problems that way.

22 I mean again, I'm not trying to say  
23 that the way you're proposing is inadequate. But the  
24 question is, can automated measurements be good  
25 enough?

1 MR. AMBROSE: I say no. But --

2 MR. KISICKI: I'm sorry.

3 CHAIRMAN VOLZ: I think we understand.

4 MS. HOFMANN: I think we understand the  
5 conflict here.

6 CHAIRMAN VOLZ: The pluses and minuses.

7 MS. CHENEY: We want to leave time for  
8 Mr. Blomberg.

9 MR. AMBROSE: I'm sorry. I apologize  
10 to the Board.

11 CHAIRMAN VOLZ: And we've been doing  
12 this for over two hours now since our lunch break.  
13 We are going to take a 10-minute break, and then when  
14 we come back, we will hear from Mr. Blomberg.

15 MS. CHENEY: Thank you, Mr. Ashtiani.

16 CHAIRMAN VOLZ: Yes, thank you.

17 (Recess was taken.)

18 CHAIRMAN VOLZ: Go ahead.

19 MR. BLOMBERG: All right. Thank you  
20 very much for accommodating me. I realize the  
21 circumstances. Appreciate it.

22 CHAIRMAN VOLZ: Not a problem.

23 MR. BLOMBERG: My name is Les Blomberg.  
24 I didn't put my resume up there. You've seen it  
25 before, and it's in the record already. I want to do



1 a little thing different. We have been dealing a lot  
2 with details, and I want to step back and look at  
3 kind of the meta issues. This what I raised at a  
4 hearing in the hotel when DPS was presenting. And  
5 they weren't able to answer it then, and I think it  
6 still remains unanswered. It has to do with  
7 enforcement and compliance. So that's basically what  
8 I'll be talking about today.

9 Your rule has -- I would say you could  
10 say there is three phases of compliance assessment in  
11 your rule. The first phase, or I think it would be  
12 really helpful if you keep these three phases in mind  
13 as I go through my presentation. The first one is  
14 the preconstruction assessment happens in 248. It's  
15 usually modeling.

16 The next one, and much of the  
17 discussion in here has focused around the second  
18 phase, which is the compliance testing that occurs  
19 afterwards.

20 And the third one is the complaint  
21 resolution process. And that is a one-sentence --  
22 one sentence at the very end. It's the very last  
23 sentence of your rule basically. And I want to look  
24 at basically those last two and how they are  
25 operating. And I do this out of my experience of

1 writing and helping communities write and revise  
2 noise regulations. Because where they often fall  
3 down is thinking about how this is going to all work  
4 out in an enforcement, and what happens when the  
5 police officer goes out and tries to do what's  
6 written down.

7 So having said that, there is also two  
8 regulatory techniques that you could use in doing  
9 this. One is you could require in the 248 process  
10 the turbines to meet the noise criteria. And in that  
11 case what you're doing is you're regulating the  
12 physical properties of the turbines. Turbine already  
13 sited there has to meet the criteria, and you do that  
14 with modeling. And then in that case your compliance  
15 testing, the role of it, is just to make sure your  
16 modeling was right. And you have a fairly limited --  
17 hopefully if you do everything right, you have a  
18 limited need for your complaint resolution.

19 The second approach you can take is  
20 that you can allow the developer to put in turbines  
21 that wouldn't meet it, the criteria, but that they  
22 will turn it down at times. This approach involves  
23 not regulating the physical properties of the  
24 turbines, but regulating the behavior of the  
25 operator. And it requires a different set of tools

1 to do that. And much of my presentation is going to  
2 be about the role of the complaint resolution and the  
3 compliance testing when you do that, when you try to  
4 do it that way.

5 And just giving an analogy, we can  
6 think of enforcing the 65-mile-an-hour speed limit.  
7 One way we can do it is we can say you can't build a  
8 car that can go faster than 65. If you do that, your  
9 work on the highways is pretty much done unless maybe  
10 in icy conditions or something. However, if you  
11 allow cars that can go over 65, then you need  
12 monitoring and you need the highway patrol to enforce  
13 it.

14 And one thing that I want you to note  
15 is that you wouldn't just test when you have to  
16 regulate behavior, as the car is purchased by the  
17 driver, as he pulls off the lot so to speak. That  
18 would not be a sufficient test, if you wanted to, you  
19 know, see how they are going to behave for the rest  
20 of the life of that car, for example. So I'm going  
21 to carry this analogy through. Again, as we did  
22 this. So you can think of your first technique, your  
23 technique number one, as the 65 mile-an-hour car, or  
24 the 35 dBA wind turbine.

25 I take it from reading the rule that

1 the rule has basically rejected this approach. That  
2 it does not use this approach. And I say that for  
3 two reasons. One, is because you have a day-night  
4 level. So they can build to a higher standard.  
5 Unless you require, as people have talked about here,  
6 requiring building of the lower ones. But if they  
7 can build to the daytime standard, then they do have  
8 to turn it down at night. Now you do have to  
9 regulate their behavior.

10 The other thing is just the NRO mode in  
11 general that we have talked about here and that Eddie  
12 talked about. It's not clear that it's permitted,  
13 but it seems to be permitted because in section D --  
14 5.075D, it says that in there you're required to  
15 describe your sound control methods, and as Mr.  
16 Duncan mentioned, that is the primary method you can  
17 turn them off. You can do other things, but they  
18 wouldn't really affect the turbines, like make them  
19 smaller, stuff like that, but that would be done  
20 ahead of time.

21 You can't really see this on the screen  
22 but in -- on your pieces of paper that is in light  
23 green. I put color coding in there because if I'm  
24 quoting the proposed rule, that page is in green.  
25 And if I'm quoting -- if I'm quoting the protocol

1       it's kind of in a peach color, and that's what that  
2       notation at the bottom right is. And unfortunately,  
3       in this light, maybe if you hit the light there, you  
4       could see a little bit better the coloring, but it's  
5       not showing up on the screen here.

6               So basically the worst case turbine  
7       noise levels will exceed the noise criteria under the  
8       rule or can. And therefore, you're in the realm of  
9       having to regulate behavior. The problem is I don't  
10      think the proposed rule is written to regulate  
11      behavior. The post construction -- post-construction  
12      monitoring does nothing to regulate the behavior of  
13      the operator after that period.

14             I think I also found a mistake in here.  
15      And it's in the fine print. In the rule, the  
16      proposed rule, it says that monitoring will take  
17      place so many times and they say refer to D. I put D  
18      in there. I think it was really referring to C. You  
19      might just make note of that. But the whole point of  
20      putting D or C in there is that the monitoring is  
21      going to happen initially, for a short period of  
22      time, and that you are not regulating the behavior.  
23      That's kind of like as if you were regulating the  
24      technique. One, just relating the properties of it,  
25      but the behavior can easily change right after the

1 monitoring occurs, and you have no way to protect  
2 that.

3 Just as, for example, measuring my  
4 speed the day I bought my car doesn't tell you  
5 anything about how I'm going to drive it in the next  
6 couple years. Maintain it just a little bit. There  
7 again I've just circled that mistake.

8 So this is that last sentence I talked  
9 about. It says so what's the complaint resolution  
10 process. Remember there was three phases. This is  
11 your third phase. Your complaint resolution. And it  
12 basically says we are going to use the Public Service  
13 Board's protocol. Okay. So I think it's really  
14 important that we look carefully at that protocol to  
15 see if it will do anything. And so this is in peach  
16 on your paper. It's in peach on my screen, but it's  
17 not in peach on the monitor unfortunately, so  
18 anything in peach I'm quoting the protocol just to  
19 help you be clear as to where to look for this stuff.

20 First thing the department gets a  
21 complaint, and they do a desktop analysis.  
22 Investigation. A desk level investigation. Not  
23 exactly clear what can be done on that, except for to  
24 say that you're right, from my desk I can't hear it.  
25 I'll come back to that point in a second.

1                   CHAIRMAN VOLZ: You can ask the  
2 department -- this is their protocol, not ours.

3                   MR. BLOMBERG: No, I'm not saying --

4                   CHAIRMAN VOLZ: You can ask them what  
5 they do to do a desk --

6                   MR. BLOMBERG: No, it says here  
7 further.

8                   CHAIRMAN VOLZ: Sorry. I just to want  
9 to be clear that people know this protocol isn't one  
10 the Board promulgated.

11                   MR. BLOMBERG: It's one the Board is  
12 considering adopting, but yes. So the next level is  
13 that it can get a case review. Okay. And then in  
14 investigating it, they determine if there is a  
15 potential, and they can escalate it to the Board.

16                   CHAIRMAN VOLZ: I just want to make  
17 something clear which is they promulgated the  
18 protocol, they used it. I assume they have been  
19 using it for awhile. I don't know how long they have  
20 been using it. And we get complaints all the time  
21 about other regulatory matters, other utility  
22 matters. And it seems to work fine.

23                   MR. BLOMBERG: Right.

24                   CHAIRMAN VOLZ: And so but anyway, I  
25 think the reason why there was such a short reference

1 to this process in our rule is because it's a well-  
2 developed process that has lots of cases that have  
3 been decided under it, and it has a lot of body to  
4 it.

5 MR. BLOMBERG: Right. I don't doubt  
6 it. I think it's got as a general --

7 CHAIRMAN VOLZ: You understand that --  
8 I just want to make sure everybody in the room  
9 understands what you're talking about.

10 MR. BLOMBERG: Sure. I think as a  
11 general procedure, it seems pretty good.

12 CHAIRMAN VOLZ: Right.

13 MR. BLOMBERG: I don't think it works  
14 with wind turbines. That's where I'm coming to.

15 CHAIRMAN VOLZ: Keep going then.

16 MR. BLOMBERG: And this is the essence  
17 of it. And the next slide basically during the case  
18 review, okay, it can get sent up to the Board, to you  
19 guys.

20 CHAIRMAN VOLZ: Right. But if it isn't  
21 sent up to the Board by CAPI, by the department, the  
22 complainant can still ask us directly.

23 MR. BLOMBERG: Right. Exactly.

24 CHAIRMAN VOLZ: This is just if they  
25 want to get the department behind them when they



1 bring the complaint.

2 MR. BLOMBERG: Right. So but here's  
3 the problem. Here's where I find it most  
4 problematic. The field work that would determine if  
5 it's in violation or not or potentially in violation  
6 or not, can only occur after it's been sent to you  
7 according to this -- the protocol. So and that's  
8 where I see one of the major problems here, and I'm  
9 getting to those. But basically the problem is it's  
10 an empirical question whether the noise is in  
11 violation of the CPG. And that's investigated by  
12 measuring it. And we can only measure it if it gets  
13 sent to you.

14 And let me just go over my  
15 presentation. I think it would be better if I go  
16 through the problems. So the problems that I see are  
17 that the desk-level investigation it doesn't seem  
18 relevant because of this empirical nature of the  
19 problem. And also that, you know, this complaint was  
20 filed at a certain time, it's past, we don't have  
21 access to that any more. There is just no way to go  
22 back there and hear that.

23 There is more problems. And I think  
24 this could be fixed. I mean the reason I bring these  
25 up is because I think you can fix these; right?



1 think -- did you talk to the department about this  
2 protocol and about these concerns before you put this  
3 together?

4 MR. BLOMBERG: I did. I talked to one  
5 of the lawyers there.

6 CHAIRMAN VOLZ: Okay. Because I mean I  
7 think, as I understand the process, I'm not talking  
8 about it in the context of windmills and noise. I'm  
9 talking about in general when we get complaints from  
10 customers about utility behaviors, usually it's a  
11 billing dispute, but it can be other things as well.  
12 They listen to the complainant, they make a judgment  
13 about how much merit there might be. If they think  
14 there is enough merit, they might investigate that on  
15 their own initially.

16 MR. BLOMBERG: Right.

17 CHAIRMAN VOLZ: Then if they think it  
18 definitely has some merit, they will file a complaint  
19 with us. It's only after the complaint filed with us  
20 that they can afford to hire experts, because they  
21 are allowed to bill those back to the utility at that  
22 point. They can't do that before they file the  
23 complaint. So there are reasons why it evolves the  
24 way it has. I think they use the same kind of  
25 discretion that the prosecutor uses with the police

1 department. The police bring complaints to them.  
2 People call up the prosecutor and complain about  
3 behavior, and they look into it on their own. I  
4 think it's wrong to say they don't have criteria.  
5 Maybe not written down somewhere, but I think they  
6 use their judgment and their experience and apply it  
7 to the facts of any given situation.

8 MR. BLOMBERG: Right. That sounds  
9 right. That sounds good.

10 CHAIRMAN VOLZ: Okay.

11 MR. BLOMBERG: Just don't know how,  
12 from the desk, they can figure out whether it's  
13 likely -- I mean I call up and say it's loud, it was  
14 really loud. It kept me away wake at night.

15 MS. HOFMANN: Maybe you're suggesting  
16 something -- maybe we should cut to the chase.

17 MR. BLOMBERG: You're right. I am  
18 getting there. Solutions.

19 MS. HOFMANN: That's what I'm looking  
20 for.

21 CHAIRMAN VOLZ: I'm trying to make sure  
22 you're trying to solve the right problem. As you  
23 were describing it, I'm not sure I agreed with you  
24 that was the problem.

25 MR. BLOMBERG: There is a couple of

1 problems that I listed there. You might not think  
2 it's a problem. But here's one of the things I think  
3 is a problem.

4 Every time we heard one of the  
5 presenters talk about this, that the fairness of the  
6 process and the -- every time wind turbine noise is  
7 in the news, okay, that is bad for renewable energy.  
8 Because it just solidifies the idea that a community  
9 doesn't want to have anything to do with this. If  
10 you want to make renewable energy work, you've got to  
11 have a system that can address all this stuff so that  
12 it doesn't make the news. Because every time it  
13 does, it just sends this one message, you don't want  
14 it in your community.

15 So the two ways to address this are,  
16 one, go back to technique one, right? Make sure that  
17 you put the stress on the planning process and not  
18 the enforcement. Right? To really make sure that  
19 anything that's permitted is going to have a real  
20 high probability that it will comply. And then  
21 compliance testing will confirm that, because  
22 remember, I think the key to understanding my  
23 concerns is to remember that compliance testing isn't  
24 designed to regulate behavior.

25 And you guys have gotten into the world

1 of regulating behavior. And I don't know how you can  
2 understand the behavior from the desktop. We have  
3 got to go back to -- remember we are talking about a  
4 behavior and not the operation of the turbines  
5 themselves. So that's one solution.

6 And the other solution is to beef up  
7 your compliance testing with something like  
8 continuous real-time monitoring and real-time  
9 feedback. Because that's how -- we don't do it quite  
10 that much on the highways, but it's continuous.  
11 There is always a highway patrol out there. They are  
12 not always watching you. But you know, that's how we  
13 do it when we regulate behavior is we have monitoring  
14 out there all the time. Happening all the time. And  
15 so those are the two ways to avoid that problem.

16 Okay. And I can see advantages and  
17 disadvantages to both. I think simplest is one,  
18 first one. But that doesn't mean you can't do the  
19 second one. It's just that you have to design your  
20 rule so that it can handle regulating behavior, and I  
21 don't think your rule right now regulates behavior.

22 CHAIRMAN VOLZ: I think one thing I  
23 would note, as I understand what you're proposing,  
24 number one would be only approve projects with  
25 turbines that are certified -- whose certified sound

1 levels at maximum power output would never exceed the  
2 whatever level we decided is the appropriate level.

3 MR. BLOMBERG: Right.

4 CHAIRMAN VOLZ: And I think the problem  
5 with that approach is that they still might exceed it  
6 anyway, and then we still need the other process  
7 anyway.

8 MR. BLOMBERG: No. You need the other  
9 process.

10 CHAIRMAN VOLZ: Because we don't  
11 regulate behavior so much, we regulate outcomes.

12 MR. BLOMBERG: Right. I realize that  
13 you still need that. That's one of the reasons why I  
14 would always save your NRO modes for when things go  
15 wrong instead of using your NRO mode in the  
16 development of the whole process; right? Because  
17 that can happen. But what happens if you do it the  
18 way I describe, the first way -- the way you just  
19 described, yes, it can go wrong. Okay. But  
20 hopefully the -- if you're not regulating behavior,  
21 if they are actually operating at full when -- full  
22 capacity when you're doing your compliance testing,  
23 you should catch that, and then you can immediately  
24 rectify it.

25 And then I mean if you looked at the

1 Sheffield, your early rules, your early rules really  
2 were, you know, number one here. Okay. I think they  
3 were pretty good. I mean you would -- like in one  
4 case you had like three decibels from the neighbor at  
5 full testing. Another case later on it became five.  
6 Stuff like that is an objective criteria that that  
7 makes this easier.

8 Now the problem in the early rules  
9 which you resolved in this, is you relied on the  
10 self-certification by the developer basically that  
11 they were in compliance, and you with your new rules  
12 have fixed that. But there are some aspects of the  
13 old rules that are very valuable because you did have  
14 objective criteria in there that determined if you  
15 had -- if you triggered further stuff, and that would  
16 really help you guys a lot, because it would give you  
17 objective criteria to thin out stuff.

18 So some of the early rules, like the  
19 Sheffield rule, have some good stuff in them like  
20 that. I don't think three is the right number.

21 CHAIRMAN VOLZ: By rule you mean the  
22 order that approved the project and had conditions in  
23 it?

24 MR. BLOMBERG: Yes. And the noise  
25 monitoring plan that was approved with respect to



1 those. So you had in that case an objective  
2 criteria. And the objective criteria was okay, three  
3 is a little close. But what was not as good was just  
4 the, you know, giving the developer the ability to  
5 pretty much self-certify that they were in  
6 compliance. That was where the problem was, and you  
7 fixed that one.

8 And I'd just note that if you do try to  
9 do technique two, the monitoring protocol you have in  
10 your proposed rule isn't continuous monitoring and  
11 won't work for that. So you know, that would have to  
12 change, I think, if you tried to really do technique  
13 two.

14 So just to go back to those three  
15 phases again. The first phase, the preconstruction  
16 phase. That is -- becomes under your new rule  
17 irrelevant or very much reduced because the developer  
18 will come into your planning process and say we will  
19 meet these regulations. Yeah. They can give you  
20 modeling, and they can just give you modeling that  
21 shows, yeah, we will reduce the level of these things  
22 to this level, and it will meet those. So you've  
23 really taken -- that's where the stress in my mind  
24 ought to be, and the focus ought to be, is you get it  
25 right first.

1                   And what these rules that you have  
2                   there now really don't get it right first. And like  
3                   I said technique two is okay, but it puts a lot of  
4                   stress on the compliance monitoring.

5                   CHAIRMAN VOLZ: I'm not sure I agree.  
6                   I think in 248 cases that would -- if a developer  
7                   proposed a project that used turbines that were  
8                   certified way higher in terms of noise than what we  
9                   are -- than what people -- than what would be  
10                  consistent with the rule, in the 248 case itself,  
11                  people would say this is what's going -- this is  
12                  going to violate the rule and it shouldn't be allowed  
13                  to be built.

14                  MR. BLOMBERG: Right.

15                  CHAIRMAN VOLZ: So that could be  
16                  brought up before you get to post construction.

17                  MR. BLOMBERG: Yeah, but people would  
18                  have to argue it's not part of the rule.

19                  CHAIRMAN VOLZ: But that's -- that  
20                  problem exists in every project anyway. Is the  
21                  proposal consistent with --

22                  MR. BLOMBERG: Oh, yeah.

23                  CHAIRMAN VOLZ: -- and in the public  
24                  good, and why isn't it, because these turbines are  
25                  going to be too loud. And then the developer will

1 say the reason I'm using these is for X, Y and Z  
2 reasons. Don't worry. I'm going to turn them down.  
3 That would be part of the case initially, and it  
4 would be taken into account. I'm not sure, but  
5 anyway keep going.

6 MR. BLOMBERG: Okay. The second one is  
7 just that the post-construction monitoring, something  
8 that we have worried a lot about the details of  
9 today, becomes much, much less relevant too. Because  
10 when you regulate behavior, that regulates only a  
11 snapshot of the behavior. And it's an incredibly  
12 small one. And who among us here doesn't take their  
13 foot off the gas pedal when they pass the highway  
14 patrol? And to think that the utilities won't do the  
15 same as what we personally would do ourselves, is to  
16 attribute to an entity with a vested interest better  
17 motives than you and I can -- better actions than you  
18 and I can come up with. So that really is kind of  
19 irrelevant.

20 And all of the burden falls on the  
21 complaint resolution. Just drops down to that. And  
22 so that's mainly my message is that you're regulating  
23 behavior with this rule. This rule is not well  
24 designed to regulate behavior. It puts all of the  
25 stress in the later parts. That means it's all

1 coming back to you, over and over and over again.

2 Like I said, I'm in favor of technique  
3 one, but I think that technique two can work. But  
4 technique one, do all the work ahead of time, and try  
5 to make sure that very little comes back. The less  
6 that comes back to you, the better it is for  
7 renewable energy.

8 MS. HOFMANN: To use your analogy of  
9 the car technique, one, is you put the speed governor  
10 on.

11 MR. BLOMBERG: Yeah. I don't think we  
12 should do that with cars. But that's a regulated  
13 utility, and I think we can do that with those  
14 things. Although sometimes when I'm driving on the  
15 highway, I think we should do that with cars too.

16 But so those are my main points. I've  
17 just got like a couple quick observations too, if I  
18 could. One is somebody asked about microphone height  
19 four meters, two meters. In some cases it can make a  
20 big difference. Really depends on the land, but yes,  
21 it makes a difference.

22 Setbacks, you know, setbacks are the  
23 one thing that's constant here. You know, like  
24 you're not going to be arguing about it. It's the  
25 one thing that's just, you know, like everything goes

1 wrong at least you've got the setbacks.

2 Okay. And so I strongly like -- the  
3 other thing is, well setbacks are the only clear  
4 standard, I've got to say. You've heard so much  
5 discussion are we going to get contamination. Are we  
6 going to get contamination doing it this way. Maybe  
7 we won't. Maybe we will have to do it for five  
8 weeks. Maybe we will have to do it for five months.  
9 You can do the setback in five minutes.

10 Second thing, setbacks are really good  
11 for getting that participating neighbor going. And  
12 getting that -- getting the developer to get the  
13 community involved and the neighbors involved. And  
14 so they have great value for that. Your rules will  
15 not end the renewable energy industry in this state.  
16 As I've heard, and I assume he's right, that it  
17 wouldn't permit the turbines that are currently at  
18 Lowell or Sheffield. Maybe it wouldn't do that. I  
19 haven't looked. But I think -- did you tell me that  
20 or --

21 MR. DUNCAN: I said it might.

22 MR. BLOMBERG: Yeah. But you know, it  
23 doesn't mean that it wouldn't permit something of a  
24 smaller scale, still utility scale, but maybe a  
25 little smaller. What the industry doesn't like about

1           them is it won't permit the ever increasing biggest  
2           turbines to go in everywhere. Okay. And that's very  
3           different than saying we can get stuff to fit the  
4           scale and size of Vermont.

5                         And finally, with respect to Mr.  
6           Duncan's presentation, I had to say something. The  
7           -- I don't think you can do -- I think you've caught  
8           on to this. I don't think you can do an aesthetic  
9           analysis without the background level and looking at  
10          the change from the background.

11                        So those are my quick observations  
12          about what's happening.

13                        CHAIRMAN VOLZ: Okay. Thanks. Mr.  
14          Brabant, you had your hand up?

15                        MR. BRABANT: John Brabant, Vermonters  
16          for a Clean Environment. I kind of wanted to clarify  
17          from my perspective, what I think Mr. Blomberg is  
18          getting at, he did bring up setback. I kind of wrote  
19          a note to myself. The chair had discussed a premise  
20          wherein the PSB only limited turbine size or design  
21          that is certified at a level that does not exceed the  
22          noise standard. Instead, it should be evaluated  
23          based upon both the turbine sound pressure output  
24          maximum and the appropriate setback. You need to  
25          look at a project on the whole, the size of the

1 technology of the turbine, the height, and the  
2 setback.

3 So if you have appropriately scaled the  
4 turbine, maximum sound pressure output, certified  
5 output, and the turbine height against the setback  
6 that you would need to reach compliance at the end of  
7 that setback line, then you would get to your first  
8 premise, right, Les? That you would have to do less  
9 field compliance, end-of-pipe compliance, not only  
10 proven to be difficult, if not impossible, as we have  
11 seen in the cases that are pending right now, but  
12 it's costly to all involved. The neighbors. The  
13 regulated community, and you know, state government.

14 So what I think has brought us here is  
15 we have a failed system, and we need to come out of  
16 this process with a system that works. I think what  
17 you hit upon, Les, might be something that moves us  
18 in that direction. It's simple, it's less -- there  
19 is less argument to be made, and it's not end of the  
20 pipe.

21 CHAIRMAN VOLZ: Yeah.

22 MR. DUNCAN: Two brief questions. In  
23 case there are questions as a result of your  
24 presentation on NRO. One is you talk about  
25 essentially the proposed rule regulates behavior

1 because it allows for the use of NRO. And so the  
2 question is that if NRO wasn't used, isn't the Board  
3 also regulating behavior of a project operator by  
4 making sure that they maintain their equipment so  
5 that the physical attributes -- so they are already  
6 modifying or regulating behavior; correct?

7 MR. BLOMBERG: Yeah. I mean you're not  
8 -- I mean this isn't, you know, there are certain  
9 aspects of the behavior. Like are they maintaining  
10 it. Right? Or are they letting it fall apart. So,  
11 yeah, there will be aspects of it, but what this rule  
12 does in my mind is really shift the focus from  
13 regulating the physical properties of the turbines to  
14 regulating the behavior of the operator. And I'm not  
15 saying that you don't do both already. But it really  
16 tips the scales and really goes over to regulating  
17 behavior more than regulating the physical  
18 properties. You will always have to regulate both --  
19 or well you'll always have to regulate behavior. But  
20 that won't be your primary concern, you know. In my  
21 mind it shouldn't be your primary concern. That once  
22 you get the properties right, you have very little  
23 else that you have to regulate behavior wise.

24 MR. DUNCAN: And the second question is  
25 are you aware that with most turbines that even



1 without acoustical measurements most turbines log  
2 operational data that can be used to show it is or is  
3 not an NRO after a given time period. So the analogy  
4 would be all cars don't have a limiter of 65 miles an  
5 hour but rather they have a data logger that's  
6 logging the speed of a car that can be requested at  
7 any time.

8 MR. BLOMBERG: That is one approach.  
9 And my concern with that approach is that it not fall  
10 back into the self-certification process. Because  
11 who are you going to get this from? From them. I  
12 mean the nice thing about distance, the nice thing  
13 about sound pressure level is that you don't get it  
14 from the developer. You get it from the environment.  
15 Right? The rule or whatever. You know whether  
16 setback or the measurement.

17 And one of the big problems with the  
18 image of renewable energy is that the neighbors do  
19 not trust the developers. Okay? And so, you know,  
20 yes, if you had a mechanism to do that and but still  
21 even if you had the mechanism, every time they  
22 changed their operations, you would have to go out  
23 and measure it again. Right? If they changed their  
24 operational protocol, they have changed their  
25 behavior, now you've got to go test it again.

1                   And so, yeah, you could come up with, I  
2 think, a convoluted way to do that. I think it would  
3 again rely on a little bit of self certification. It  
4 would also be very complicated because every time  
5 they come up with a new operational scheme that they  
6 want to try, you're going to have to go out and test  
7 it and make sure it's okay. So it's not impossible,  
8 but it's not ideal.

9                   MS. CHENEY: So does your concern about  
10 basically behavior police lessen or go away if there  
11 is not a different day-night standard, and it's just  
12 one standard?

13                   MR. BLOMBERG: Well if you just meet  
14 the lowest one, yeah. It would.

15                   MS. CHENEY: Not about how high it is.  
16 I'm asking if it's just one.

17                   MR. BLOMBERG: Yeah. If there was just  
18 one, as long as you also didn't allow NRO modes to  
19 meet that. The second you allow an NRO mode, the  
20 second you allow an NRO mode to meet your criteria,  
21 then you've already done that. So it's both the day-  
22 night and the use of NRO modes.

23                   And so I would recommend not using NRO  
24 modes to meet the criteria. You save them for when  
25 they don't, by some, you know, unusual hopefully

1 occurrence. And I think you should meet the lower,  
2 you know, the night level. Yeah. That's what I  
3 would do.

4 MS. CHENEY: Thank you.

5 MR. COTTER: I was curious, Mr.  
6 Blomberg, if the Board -- I'm sure you're aware that  
7 the Board in the past has looked at modeling for  
8 turbines out of a concern for is it possible for  
9 these turbines to meet a particular standard. If the  
10 Board were to determine that NRO mode should not be  
11 accounted for in the modeling, how much would that or  
12 how far would that go to shift the balance of from  
13 what you called technique two over to technique one?

14 MR. BLOMBERG: A long ways. I think  
15 you just identified it. There are two main things  
16 that are shifting it that way. One is NRO mode, two  
17 is the day-night levels. So yeah, it would get you  
18 halfway there.

19 MR. COTTER: Okay. Thank you.

20 MR. KNAUER: I have a question in terms  
21 of assuming we are in world one or technique one,  
22 where we are really trying to regulate the operation  
23 and the technical aspects of a project. How does  
24 compliance monitoring look in that world? Are we  
25 doing sound power level testing, you know, up near

1 the turbines every once in a while, or are we still  
2 doing it at residences?

3 MR. BLOMBERG: Well, no. I think  
4 compliance testing probably looks like what you're  
5 imagining. I agree with Mr. Ashtiani that in a lot  
6 of places I think it makes sense to move closer to  
7 the turbines, make the measurements there, and use  
8 modeling to go the distance away from it. So you  
9 might, you know, use something like that. But I  
10 would -- I think it looks -- I think your compliance  
11 testing is right. It's just that it's not designed  
12 to regulate behavior. It's designed to regulate the  
13 physical properties. And so you know, although I've  
14 got to say, you know, I have some problems with it  
15 too, and it's all in my previous testimony, so I  
16 don't want to even -- you guys have accepted what I  
17 said, and you've rejected some of what I said. And I  
18 don't think I'm going to change your mind on that so  
19 --

20 CHAIRMAN VOLZ: Ms. Smith.

21 MS. SMITH: I'm really glad that Mr.  
22 Blomberg brought up the compliance and complaint part  
23 of the rule. Sitting around this room are a number  
24 of people who are potential neighbors of wind  
25 projects. And if I have one goal in success with

1 this rule, is that they are not put in the position  
2 of enforcement which is what's happened. And so my  
3 default position, if we can't come up with a decent  
4 standard, is continuous sound monitoring.

5 I want to make the distinction between  
6 the continuous sound monitoring and Mr. Duncan talked  
7 about that's going on in Maine which you put out the  
8 suitcase and you gather bags of data, and then you  
9 look at it after the fact. The real-time monitoring  
10 is totally technically possible now. You have it up  
11 on the computer screen in real time, and you have the  
12 SCADA data there and the weather data. And you have  
13 a trigger that when it hits the standard, then you  
14 can go and watch and see what's going on. It has  
15 audio and video. Each one of these pieces of  
16 equipment costs about \$25,000. The best equipment  
17 comes from Germany. This is a really, really small  
18 amount of money in the grand scheme of how much money  
19 is being made on these wind turbines.

20 And that enables someone to do the  
21 monitoring only looking at when there are  
22 exceedences. For the majority of the time you don't  
23 look at it. You don't need to gather and analyze all  
24 of these suitcases of data. You have a great example  
25 of how not to do continuous sound monitoring with the

1 rule of one-year continuous sound monitoring which is  
2 just absurd. You put a microphone in the bush,  
3 sometimes the background monitor is higher than the  
4 main monitor.

5 The neighbors right now are in a  
6 position where when there is a problem it's in the  
7 middle of the night, they are supposed to make a  
8 phone call or send an E-mail. So you have to turn on  
9 your phone. That's disrupting your sleep. And then  
10 there is days before anyone is going to respond. And  
11 what's in this rule allows for that process to  
12 continue where first you go to the department, then  
13 it comes back. And the fact is that people need  
14 sleep at night.

15 One of the goals I have had for years  
16 is just give the neighbors a phone number so if they  
17 are awake at night, and they can make a phone call to  
18 the operator and say turn it down. It's too loud.  
19 That's when it's the problem.

20 If you go outside and can't enjoy being  
21 in your garden on a Saturday afternoon because the  
22 wind turbines are too loud, there needs to be some  
23 mechanism where you can look at what's going on and  
24 analyze it for a real-time perspective.

25 So I want out of this room on this

1 subject. I've spent so much time. I've devoted  
2 years of my life to addressing this subject, and it's  
3 very painful because people are being hurt. I don't  
4 want to see more people hurt, so that's what I'm  
5 asking you to do is put something in place that takes  
6 the neighbors out of the role of being the  
7 enforcement monitors and puts a standard in place  
8 that is genuinely protective so people have the right  
9 to their peaceful enjoyment of their properties and  
10 their health.

11 And really what we need to be doing  
12 here is setting a good standard and coming up with  
13 the speed limit and the enforcement so that we can  
14 assure that things are being complied with in a real  
15 time manner and not days and months and years after  
16 the fact.

17 CHAIRMAN VOLZ: Any other questions?

18 Yes.

19 MR. DUNCAN: I just had one question.  
20 Following the same logic of not allowing NRO to be  
21 used. Would you then also extend that to say don't  
22 allow developers to use shutdowns to regulate noise?

23 MR. BLOMBERG: Yeah. That would be  
24 another. Yeah, I probably should have said that too,  
25 but I think you're right that that would be another

1 example of behavior.

2 MR. DUNCAN: Okay.

3 MR. BLOMBERG: I think that that  
4 becomes the fallback like NRO when your modeling was  
5 wrong.

6 CHAIRMAN VOLZ: I'm sorry. What  
7 becomes the fallback?

8 MR. BLOMBERG: Shutting down at certain  
9 times, and NRO mode becomes your cushion to deal with  
10 any problems after the fact if, you know, through the  
11 248 process and the modeling it just didn't match the  
12 environmental conditions for some reason.

13 CHAIRMAN VOLZ: Any other questions for  
14 Mr. Blomberg? Okay. Just want to thank everyone for  
15 coming out today. I thought it was really  
16 interesting.

17 Just want to remind you that the final  
18 written comments are due on May 11. And so if you  
19 get those in, that will be really helpful. Thank  
20 you.

21 (Whereupon, the proceeding was  
22 adjourned at 4:35 p.m.)

23

24

25



C E R T I F I C A T E

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, Kim U. Sears, do hereby certify that I recorded by stenographic means the Workshop re: Rule 5.700, at the Susan M. Hudson Hearing Room, People's United Bank Building, 112 State Street, Montpelier, Vermont, on May 4, 2017, beginning at 9:30 a.m.

I further certify that the foregoing testimony was taken by me stenographically and thereafter reduced to typewriting and the foregoing 248 pages are a transcript of the stenograph notes taken by me of the evidence and the proceedings to the best of my ability.

I further certify that I am not related to any of the parties thereto or their counsel, and I am in no way interested in the outcome of said cause.

Dated at Williston, Vermont, this 4th day of May, 2017.

A rectangular box containing a handwritten signature in cursive script that reads "Kim U. Sears". The signature is written in dark ink on a light-colored background.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25